

U. S. ENVIRONMENTAL PROTECTION AGENCY

----- X

IN THE MATTER OF: :

PUBLIC HEARING - REPROPOSED :

UNDERGROUND INJECTION CONTROL : VOLUME I

PROGRAM :

----- X

North Ballroom
North Park Inn
Dallas, Texas

Monday, July 16, 1979

Met, pursuant to Notice, at 9:00 a.m.

BEFORE:.

ALAN LEVIN, Chairman
Director, State Programs Division
Office of Drinking Water
Environmental Protection Agency
Washington, D.C. 20460

RECEIVED

AUG 15 1979

ENVIRONMENTAL PROTECTION AGENCY
LIRP REGION V

PANEL:

PAUL BALTAY
Deputy Director, State Programs Division
Office of Drinking Water
Environmental Protection Agency
Washington, D.C. 20460

DAVID SCHNAPE
Attorney, Permit Division
Office of Enforcement
Environmental Protection Agency
Washington, D.C. 20460

PANEL: (Continued)

SAM MOREKAS

Program Manager, Hazardous Waste State Program
State Program Branch
State Programs & Resource Recovery Division
Office of Solid Waste
Environmental Protection Agency
Washington, D.C. 20460

MARK GORDON

Attorney
Office of General Counsel
Environmental Protection Agency
Washington, D.C. 20460

MYRON KNUDSON

Director, Water Division
Environmental Protection Agency
Region VI
Dallas, Texas 75270

I N D E X

<u>WITNESSES:</u>	<u>TESTIMONY</u>
1 DONALD P. SCHNACKE	36
2 Executive Vice President	
3 Kansas Independent Oil & Gas	
4 Association	
5	
6 A. W. DILLARD, JR.	42
7 President	
8 Permian Basin Petroleum	
9 Association	
10	
11 DR. JAMES MILLER	55
12 Assistant Director of Environmental	
13 Affairs	
14 Freeport Minerals Company	
15 testifying on behalf of:	
16 American Mining Congress	
17 Committee on Underground	
18 Injection Control Regulations	
19	
20 FRANCIS C. WILSON, II	66
21 Chairman, Environment & Safety	
22 Committee	
23 Independent Petroleum	
24 Association of America	
25	
HERMAN A. ENGEL	71
President	
East Texas Salt Water	
Disposal Company	
JAMES C. FRANK	77
Environmental Consultant	
DuPont	
RICHARD L. STAMETS	83
Technical Support Chief	
New Mexico Oil Conservation	
Division	

1	<u>INDEX</u> (Continued)	
2	<u>WITNESSES:</u>	<u>TESTIMONY</u>
3	KEN HANBY	93
4	Assistant Supervisor	
5	Alabama Oil & Gas Board	
6	STEVE KELLY	105
7	Executive Director	
8	Oklahoma Independent Petroleum	
9	Association	
10	JOHN E. SOULE	112
11	Chief Legal Counsel	
12	Oil & Gas Division	
13	Railroad Commission of Texas	
14	HAROLD E. WRIGHT	118
15	Independent Petroleum Producer	
16	Dallas, Texas	
17	RALPH A. DUMAS	122
18	Director	
19	Arkansas Oil & Gas Commission	
20	JERRY MULLICAN	129
21	Chief, Solid Waste & Underground	
22	Injection Section	
23	Texas Department of Water	
24	Resources	
25	TROY MARTIN	135
	Manager of Engineering	
	Texas American Oil Corporation	
	BOB HILL	144
	Vice-President	
	Texas In-Situ Uranium Mining	
	Environmental Association, Inc.	

1 INDEX (Continued)2 WITNESSES:TESTIMONY3 CLYDE FORD
4 Texas Gulf

153

5 ARNOLD E. CHAUVIERE
6 Assistant Commissioner
7 Office of Conservation
8 State of Louisiana

162

9 DAVID L. DURLEP
10 Supervisor, Environmental Affairs
11 Texas Uranium Operations
12 U.S. Steel Corporation

178

13 JIM ANDERSON
14 Regional Manager
15 Environmental Affairs
16 Olen Corporation

187

17

18

19

20

21

22

23

24

25

26

27

28

P R O C E E D I N G S

CHAIRMAN: Good morning, Ladies and gentlemen, my name is Alan Levin. I'm Director of the State Programs Divisions Office of Drinking Water, Environmental Protection Agency, Washington, D.C. I will be serving as your Chairman for today's hearing.

The first individual I'd like to introduce this morning is Ms. Fran Phillips, Assistant Administrator, Region VI, here in Dallas of the Environmental Protection Agency. Ms. Phillips.

FRAN PHILLIPS: Good morning. Welcome to Dallas. As Alan said, my name is Fran Phillips, and I am the newly appointed Assistant Administrator for EPA Region VI. I'd like to welcome you to this public hearing on behalf of Ms. Adelene Harrison, the Regional Administrator, who is not able to be with us this morning.

I am very pleased that this, the first public hearing on EPA's Proposed Underground Injection Control Program, is being held in Region VI. I think it is appropriate that the hearings start here. As you may know, our 5 State Region consisting of Arkansas, Louisiana, New Mexico, Oklahoma and Texas, contains a great number of the underground injection wells which are covered by these proposed regulations. We have estimated that more than 60,000 injection wells exist in Region VI. Included in this figure, a

1 more than 1/2 of the nation's total of so-called Class One
2 injection wells. Our 5 States produce nearly 70 percent of
3 the nation's domestic oil, activities associated with this
4 production such as reinjection of brine, advance recovery
5 methods and the petrochemical industry, are major users of
6 injection wells. In addition, Region VI counts for 55 per-
7 cent of the solution mining of salt, nearly all fresh sulphur
8 mining wells, and 30 percent of active uranium leaching
9 operations. Each of these activities is closely associated
10 with the use of injection wells.

11 Now, also, I would like to say that I am very
12 pleased that we are having the public hearing here today in
13 Dallas, the first public hearing that EPA has held since
14 President Carter's energy announcement and energy message
15 last night. He spoke of a crisis in confidence and our
16 inability to perceive reality. You know I think that's true.
17 We bicker and complain and point the finger. One week big
18 oil is the culprit, the next week big government, we never
19 put the blame on ourselves. I agree with the President that
20 part of the solution to this problem is the ability to accept,
21 not avoid, responsibility. According to President Carter, we
22 are now embarking on a massive program of energy conservation
23 and energy self-reliance. That is a reality. In this effort,
24 we will be balancing energy concerns with environmental
25 concerns. But we can't forget that environmental concerns

1 indeed, environmental responsibility, is also a reality.

2 As we receive public comments today, I'm going to
3 ask the listeners in the audience, the commentators and EPA's
4 Regulation Writers to accept both responsibilities as real.
5 It's really time to change our attitude now, and start
6 working together toward solutions to our problems if we are
7 going to avoid this crisis in confidence. To this end, I
8 would like to pledge the support of our Regional Staff, Myron
9 Knudson, Water Division Director-where are you Myron-and
10 Linda Tucker who is in charge of our Underground Injection
11 Control Program for the Region, to assist you as we work
12 together. Thank you very much.

13 CHAIRMAN: Thank you Fran. The next thing I'd
14 like to do is introduce our Panel. Am I coming through all
15 right? Can you all hear me? Okay, good.

16 ~~To my far right is Mr. Sam Morekas, he's the~~
17 Program Manager of the Hazardous Waste State Program, State
18 Program Branch, State Programs and Resource Recovery Division
19 Office of Solid Waste, EPA, Washington. Sitting to Mr.
20 Morekas' left, to my right, Mr. Mark Gordon, he's an attorney
21 with the Office of General Counsel, EPA in Washington. At
22 my far left, is Mr. David Schnapf, he's an attorney with the
23 Permits Division, Office of Enforcement, EPA in Washington
24 Sitting next to Mr. Schnapf is Mr. Paul Baltay, he's the
25 Deputy Director, State Programs Division, Office of Drinking

1 Water, Environmental Protection Agency, Washington. To my
2 immediate left is Mr. Myron Knudson, he is the Director of
3 the Water Division, EPA Region VI here in Dallas. At another
4 table to my far right are a number of EPA Staff people, and
5 since I don't know them all, I would like for them to please
6 stand and introduce themselves.

7 LINDA TUCKER: I'm Linda Tucker, Chief of the Water
8 Supply Branch, Region VI, Dallas EPA.

9 DWIGHT HOENIG: I'm Dwight Hoenig, I am a Geologist
10 here in Region VI, Water Supply Branch.

11 ERLECE ALLEN: I'm Erlece Allen, Water Supply Branch,
12 here in Region VI.

13 CHARLES SEVER: I'm Charles Sever, Environmental
14 Scientist, Special Assistant to Mr. Levin in Washington.

15 DAN DURKAS: Dan Durkas with the Hazardous Waste
16 Program, Washington, D.C.

17 GIL STAUFFER: I'm Gil Stauffer, Hazardous Waste
18 Program, Washington.

19 CHAIRMAN: Ladies and gentlemen, this hearing
20 concerns Part 146, The Technical Criterion Standards, for the
21 Underground Injection Control Program called for by the
22 Safe Drinking Water Act. We are here to receive comments
23 on the repropoed regulations. We are not here to debate the
24 regulations but to listen to public comments.

25 Regulation setting that impacts peoples lives is a

1 very serious and complex matter, and as a result, we also
2 consider the public's comments very seriously. Some of you
3 may recall that these regulations were initially proposed on
4 August 31, 1976. At that time, we received a voluminous
5 comments on the regulations. The public played a great part
6 in developing the package that is out on the street today.
7 As a result of the public's comments, perhaps some of the
8 comments of the people in this room, EPA has undergone 3 years
9 of study to try to refine and make these regulations more
10 responsive to the public's needs. We have hired 4 contractors
11 who have worked diligently on these regulations. As a result
12 of that effort, these regulations have been changed significantly
13 so that once again we are reproposing them so the
14 public may have an opportunity, once again, to comment. In
15 addition, these regulations do go hand in hand with the EPA's
16 effort to consolidate procedural regulations under a number
17 of its permit programs. Those hearings will be held tomorrow.

18 However, just so you can focus on today's hearing on
19 the regulations under Part 146, the Underground Injection
20 Control Regulations, were reproposed on April 20, 1979. The
21 Consolidated Permit Regulations were proposed on June 14, 1979.
22 Very briefly about the Consolidated Permit Regulations, Part
23 122 is the Programmatic Description and Requirements where
24 EPA has primary enforcement responsibility. Part 123, describes
25 what an acceptable State Program will be. The approval process

1 and how EPA intends to oversight the State programs. Part
2 124, concerns permanent issuance process and public particu-
3 pation. Part 146, which is the part we will be discussing
4 today once again are the Technical Criterion Standard for
5 the Underground Injection Control Program under the State
6 Drinking Water Act.

7 Now, there are some over-lapse between Part 146
8 and Parts 122,3, and 4. That was intentional for the sake
9 of comprehensibility since the Underground Injection Control
10 Regulations were repropose in advance of the Consolidated
11 Regulations. However, when the regulations are promulgated
12 and final, those requirements will be consolidated and there
13 will be a single set of regulations if things go well.

14 In order to insure adequate public participation
15 and that the public is informed about the regulations, there
16 may be one or two of you in the audience that may not have
17 read Part 146 yet. In that unlikely event, we want to make
18 sure that you do understand what is in these regulations.
19 So, therefore, I have asked this morning Mr. Paul Baltay,
20 the Deputy Director of the State Programs Division, Office
21 of Drinking Water, to give you about a 20 to 25 minutes brief-
22 ing before we begin our formal hearings. Mr. Baltay.

23 MR. PAUL BALTAY: Thank you. My job is to give
24 you a quick over-view of what is contained in the UIC program
25 as it is currently proposed as of April 20.

1 As Alan said for those of you who have taken the
2 trouble to be thoroughly familiar with these regulations,
3 I ask your forbearance, I will try not to be that long or
4 boring.

5 The legislative mandate for the Underground In-
6 jection Control Program is contained in the Safe Drinking
7 Water Act of 1974. Most of you also probably know that that
8 Act was amended in 1977, and at that time Congress essential
9 reaffirmed the mandate that gave us the basic Act. What
10 the law basically requires is that EPA promulgate minimal
11 national requirements and that such requirements do a number
12 of things. First of all, the requirements that EPA is to
13 promulgate are to insure State Programs which will prohibit
14 the subsurface emplacement of fluids through wells unless th
15 are authorized, no unauthorized wells. Beyond that basic
16 mission, there were a number of special things the law re-
17 quired the national minimum requirements to do. First of
18 all, such requirements that EPA set were to try to avoid
19 disrupting existing affective State Programs. Such minimal
20 requirements were to take geologic, hydrologic and historica
21 variations into account. Finally, such national minimum
22 requirements were to avoid interfering with or impeding with
23 all the gas production unless necessary to protect undergrou
24 sources of drinking water.

25 Under the legislative mandate EPA was also to list

1 states, which in the judgment of the Administrator, required
2 UIC program. That judgment was not to term on the question of
3 a report card or whether we thought the states were doing a
4 good job or a bad job. That question of needing a program
5 terms on a question of the degree of dependence on underground
6 sources of drinking water, and on a variety of factors which
7 attempt to measure in a surrogate form the degree of threat
8 or potential threat to that resource.

9 As of the 19th of June, EPA has now listed 40 states
10 in jurisdiction as requiring a UIC Program. Our current inten-
11 tion is to list the remaining jurisdictions by May of next year
12 The major reason why we have accelerated the schedule of list-
13 ing the states, during the course of writing the Consolidated
14 Regulations, it became clear to us that the Hazardous Waste
15 Management Program which potentially, at least, controls some
16 of the same practices was going to come on line much more rapid
17 then our original intentions phasing in the UIC Program. This
18 raised the possibility of allowing in some states, at least, a
19 possibility where hazardous waste disposal would be forbidden
20 under the terms of RCRA, but that underground injection would
21 not be controlled and you would, in fact, create a loophole or
22 even a positive incentive for people to dispose of underground.
23 To avoid that possibility, we have now tried to match up the
24 time in which these two controls would come in unparallel.

25 Once a state has listed, according to the legislation,

1 the state has 270 days to develop a program with which it takes
2 the primacy for implementing these regulations. That 270 days
3 may be extended for another 270 days. The law also stipulates
4 that EPA may approve a program in whole or in part. By which
5 is meant that either all the types of wells controlled by these
6 regulations would be controlled by the state, and it will take
7 primary responsibility in implementing those controls; or the
8 state could choose to take responsibility for control of
9 certain types of wells, EPA would promulgate a type of program
10 to control the wells that the state did not control. If a
11 state chooses not to participate in the program, or if its
12 application is not approved, then under the law EPA must
13 promulgate a UIC program for the listed state. There is also
14 a grant program provided for in the law to support the state
15 implementation of primary enforcement responsibility.

16 Taking this legislative mandate, EPA developed a set
17 of regulations proposed on April 20th, where the fundamental
18 concept was one of containment, basically to try to permit
19 injection but to try to assure that the injected fluids stay
20 where they are supposed to stay. There are several terms in
21 here which might be worth mentioning. One of these is that
22 as a test of containment, the regulations now offer the term,
23 the migration of fluids into underground sources of drinking
24 water. This is a change from the earlier proposal and comment
25 is requested in the preamble on that concept on the test of

1 do you tell whether endangerment of a drinking water source
2 occurred.

3 The regulations also propose a definition of under-
4 ground source of drinking water and again, comment has been
5 requested in the preamble on that definition.

6 Fundamentally, what we've said as a general rule,
7 anything which is currently in use as a source of drinking
8 water, or anything which is capable of yielding water with
9 fewer than 10,000 parts per million of total dissolved solids
10 should also be designated as a protective underground source
11 of drinking water. However, if the aquifer is not in use,
12 and if it meets one of three conditions, it is oil or mineral
13 or geothermal energy producing, it is located in such a fashion
14 that it is impractical or dis-economic to use that water, or
15 if it is already contaminated in some other fashion that aquifer
16 need not be designated as an underground source of drinking
17 water. Comment is again requested on that proposed definition
18 in the regulations.

19 That concept of containment that I speak of is to be
20 achieved in the regulations through the application of techno-
21 logical requirements, basically good engineering practices
22 applied by class of well to the siting construction operation
23 and abandonment of these practices.

24 There is a provision in the proposed regulations which
25 say that, if migration of fluid still occurs even after all of

1 these requirements have been applied, the director, the
2 responsible official for the program, may apply additional
3 requirements including the closing of the well if migration
4 is still occurring.

5 Let me quickly turn to the basic program requirements
6 what are some of these things that we are talking about? We
7 looked at a number of possible ways of contamination and tried
8 to fashion various kinds of restrictions or controls to meet
9 the various pathways of contamination. First of all, one
10 way in which these fluids can escape into the environment is
11 through faulty well construction itself. To meet this pathway
12 we have proposed a concept of mechanical integrity which
13 basically says that the well has to be sound in construction
14 and there cannot be significant migration in between the outer
15 casing and the well bore. Comments have again been requested
16 in the preamble on this specific approach, the test that we
17 suggest in demonstrating mechanical integrity as the over-all
18 concept.

19 Another pathway of contamination is nearby wells.
20 Once the pressure, the incremental pressure in the injection
21 zone is created there is a possibility of forcing either natural
22 fluids or injected fluids back up out of that area through
23 man made conduits. The concept of meeting this is proposed
24 as the area of review which may be done either as set as a
25 flap 1/4 mile or other arbitrary distance, or it may be

1 determined on the basis of a mathematical equation. Once the
2 area of review is described, the wells which penetrate, these
3 may be abandoned wells or active wells, which penetrate the
4 injection zone within the area of review must be looked at.
5 If those wells are faulty or could serve as conduits for the
6 pressurized liquids to come up, some appropriate corrective
7 action must be taken. Comments again are requested on this
8 approach.

9 Third possible way in which you could have fluids
10 move into underground sources of drinking water is through
11 faulty or fractured confining layers. Here there is a variety
12 of sighting requirements, control of injection pressure and
13 various other operating requirements.

14 A further way in which contamination could occur is
15 through the direct injection either into or above the drinking
16 water source. Basically, we couldn't imagine very much to
17 about this engineering practices and essentially there is a
18 ban or a phase out suggested for these kinds of practices.

19 Finally, another pathway is the lateral displacement
20 of fluids, and here again a variety of sighting controls,
21 controls on injection pressure and monitoring requirements
22 are applied. There is comment sought especially with regard
23 this fifth class of area, because in order to pick up all of
24 the wells we can, by lateral displacement create some
25 kind of contamination, we also extended the scope of coverage

1 of these regulations for only those wells which inject into
2 above a drinking water source to all injection practices.
3 That is highlighted for you in the preamble and, again, comment
4 is requested on that extension of scope in the regulations
5 particularly with respect to any problems that might be created
6 by picking up off-shore wells.

7 What are the tools for control that the regulations
8 propose? There are basically 5 of them. The law says EPA
9 may set the minimum requirements to control either through
10 permits, specific case by case permits, or by rules. In the
11 event we have proposed 5 tools. Certain kinds of wells,
12 Class I wells, new Class II and Salt water disposal wells,
13 Class III wells must be controlled by permits. There is a
14 comment requested whether we are using the permit tool in an
15 appropriate fashion.

16 One variant of the permit is a concept called the area
17 permit, wherein if a well is operated under the control of a
18 single operator, if it is injecting into the same stratum, if
19 it's for the same purpose, if it's essentially of the same con-
20 struction, the operator may apply for and obtain the single
21 area permit to cover an unlimited number of holes in the ground
22 The big advantage is that once you obtain that that additional
23 wells that meet the same criteria of being of the same con-
24 struction, for the same purpose et cetera, may be granted
25 administratively and you need not go through the formal public

1 hearing process. Comment is requested on all aspects of the
2 area permit concept.

3 We also have interim rules specified here. In the
4 case of existing wells, the regulations say there are 5 years
5 in which the permitting authority must repermit existing wells.
6 While a well is waiting for its turn to come up, it will be
7 authorized by interim rules. There are also permanent rules
8 Existing under Class II, Class IV and Class V wells are pro-
9 posed to be controlled by general rules. The rules are to
10 apply essentially the same requirements that would apply to
11 that type or class of well under the permit.

12 Finally, we have also recognized in certain instances
13 it is required that injection be possible in very quick order
14 and so we have proposed the possibility of a temporary author-
15 ization of two types. In cases where you would have signifi-
16 cant risk to the environment, temporary authorization may be
17 given for injection. The kind of situation this is intended
18 to cover is, for example, if you have a spill of toxic chemical
19 and environmentally the soundest way to get rid of that stuff
20 is to put it down the well which could in fact accept that;
21 but at the moment, no such injection is authorized into that
22 well. It is desirable to be able to have this toxic chemical
23 disposed of through that particular well and a temporary
24 authorization should be possible. Another situation is where
25 in gas operations an irretrievable loss of natural resources

1 might occur unless injection were possible. This is the
2 second type of situation in which temporary authorization would
3 be contemplated. Again, comment is requested on the entire
4 concept of temporary authorization whether it is too strict, or
5 too loose, or whether it is properly formulated.

6 As I mentioned, the requirements are to be applied by
7 classes of wells. We have tried to divide the universe of
8 practices into five major groupings to enable us to set reason-
9 ably consistent requirements by type of well.

10 Class I wells are those by definition which involve
11 the industrial, municipal disposal of waste for the nuclear
12 storage disposal, and by definition these are to inject below
13 the deepest source of drinking water in the area. Our best
14 estimate is that there are approximately 400 of such practices
15 or will be the first 5 years in operation.

16 Class II embraces all of those classes which are
17 related to the production of oil or gas.

18 Class III wells are all of the special process wells,
19 which may be either the solution mining of chemicals or
20 minerals, in-situ classification and the production of geo-
21 thermal energy. We estimate that approximately 2,000 of those
22 exists as far as we know today.

23 Class IV wells are ones which are strictly defined
24 as shallow wells which inject into or above drinking water
25 sources which are operated either by generators of hazardous

1 waste as defined under RCRA, or are operated by hazardous
2 waste management facilities as defined under RCRA. We
3 estimate that approximately 7500 of those exists. I should
4 point out that when we drafted that particular language, we
5 did so again to line up with the Hazardous Waste Management
6 regulations and we were aware when we drew that requirement
7 that such a formulation could in fact embrace shallow wells
8 operated by one of these facilities which itself, in fact, may
9 not dispose of hazardous waste. And so a comment was put in
10 the preamble specifically to elicit information on how often
11 this would occur and what that particular definition would
12 cause in the way of problems.

13 Finally, Class V is the all other wells, this embraces
14 a broad variety of beneficial practices like intentional
15 recharge of aquifers to air conditioning return flows, agricultural
16 irrigation wells, etcetera. Our best estimate is
17 that there are at least about 1/4 of a million of such practices.

18 To turn to the specific requirements class by class
19 let me first quickly run over the requirements that apply to
20 Class I, the industrial, and municipal and nuclear wells, and
21 Classes III, IV and V. Classes I and III are to be controlled
22 by permits, as I said before. They are to demonstrate mechanical
23 integrity initially and at least once every 5 years thereafter.
24 The area of review must be applied and corrective
25 action must be taken on faulty wells within the area of review.

1 Construction requirements are set for these wells, and the
2 preamble request comments on the appropriateness of those
3 construction requirements. Abandonment requirements also
4 apply and there is a financial stipulation that the operator
5 of that well must demonstrate in some form, not necessarily a
6 bond, but in some form must demonstrate financial responsibility
7 sufficient to abandon the well properly at the end of its
8 usefulness. Monitoring requirements are applied, orderly
9 reporting requirements to the permitting authority are applied.
10 I should point out in this regard, that on Class III in the
11 early 1976 proposal we did get extensive comments, we did
12 make changes in response to those comments but certain others
13 we want to confess one more time, and so the preamble goes
14 through a very lengthy explanation of the kinds of consider-
15 ations that we've looked at, the kinds of alternatives we've
16 thought about for Class III, and solicit explicit comments
17 from you, the public, on the appropriateness of what we have
18 done so far, and what other things we might do in the area
19 of Class III. The central question here is that given the
20 diversity of wells which may be covered by Class III whether
21 we have tried to span too great a diversity of wells with a
22 single set of controls, and what if anything we should do about
23 that problem. If indeed a problem exists.

24 Class IV wells, as I mentioned, are those owned or
25 operated either by a generator of hazardous waste or a

1 Hazardous Waste Management facility. We could think of no
2 good engineering practices to apply to these wells to make
3 them safe if they were injecting into or above a drinking
4 water source. And so basically, the requirements are that
5 no new such wells may be constructed, existing ones are to be
6 phased out in three years. There are monitoring and reporting
7 requirements for these wells, but we have chosen not to apply
8 either area of review or mechanical integrity requirements.
9 First, because the construction of these wells may not
10 be amicable to mechanical integrity tests; secondly, since
11 they are being phased out in three years, there wasn't very
12 much point in making people go to the expense if the final
13 result was the phase out in any case. The abandonment of such
14 wells was to be a part of the enforcement plan developed by
15 the responsible authority. Comment, of course, is requested
16 ~~our formulation of Class IV.~~

17 Finally, on Class V which includes this huge category
18 of all other, we did not feel that at this particular time we
19 had the wisdom or the knowledge to formulate adequate requirements
20 for this class. So there is one action requirement for
21 these wells which is, that anyone of them which poses a
22 significant risk to human health must receive immediate
23 attention, and some kind of appropriate corrective action.
24 Beyond that, there is a requirement for a two year assessment
25 to be supervised by the permitting authority; and based upon

1 that assessment and the recommendations flowing from them,
2 future regulatory requirements may be laid by EPA. There is
3 a comment requested both on the basic approach to Class V,
4 its appropriateness, as well as the two year assessment, is
5 it realistic?

6 Finally, on these particular classes, the cost that
7 our contractor estimates is approximately in the neighborhood
8 of \$143,000,000, total cost over the first five years of
9 program operation. That breaks down roughly about \$125 or so
10 for industry, about \$17,000,000 for the states. The biggest
11 item of cost in there is about \$120,000,000 for Class IV wells
12 and that largely estimates the alternative means of disposal
13 that we anticipate that Class IV operators will have to go to
14 once the Class IV well itself is closed.

15 Let me finally turn now to Class II wells where
16 virtually everyone of the things I'm going to mention now is
17 specifically identified for you in the preamble, discussed
18 at some length, and comments are requested in detail. The
19 method of control that we have proposed for Class II, we have
20 proposed permits for all new Class II wells and all existing
21 salt water disposal wells. We have proposed that a rule for
22 existing enhance recovery of hydrocarbon storage wells would
23 be appropriate. We felt here to some extent that there was a
24 greater incentive for the operator of an enhance recovery
25 well to take care of his well and to make sure that it is

1 appropriately sound and so we felt that some loosening of a
2 case by case permitting requirement would be accomplished with
3 out an undue loss of environmental benefits. Mechanical
4 integrity is required for all Class II wells. Area of review
5 requirement is applied to the new wells only in Class II. To
6 give us an opportunity to re-think this particular judgment,
7 we are going to have a mid-course assessment after the first
8 full year of program operation which will allow us to look at
9 actual fuel data to see what we are finding in terms of the
10 abandoned well problem, and that particular decision will be
11 reconsidered as part of that mid-course evaluation. Comments
12 again of course, are requested on all of these specific items.
13 In terms of casing and cementing requirements for Class II,
14 we here, again, varied the requirement from the other classes.
15 Wells in new injection fields must, in fact, protect all underground
16 source of drinking water as defined in the regulation.
17 Wells in existing injection fields whether it be existing wells
18 or new wells, or newly converted wells, as long as they are
19 an existing injection field, are to protect the historical level
20 if the state has regulated, and if the state has applied some
21 level of protection that an existing field's historical
22 level is acceptable under the way we have proposed it. Comments
23 is, of course, requested on that.

24 Finally, the abandonment of financial responsibility
25 requirements are the same as for the other classes. Varying

1 frequency of monitoring is required, and annual reporting is
2 required from the operator. The total 5 year cost estimated
3 for Class II wells alone for the first 5 years of program
4 operation is in the neighborhood of \$665,000,000, this breaks
5 down to something on the order of \$646,000,000 for industry
6 and approximately \$19,000,000 for states. One thing that is
7 worth mentioning here is that the way these estimates were
8 constructed. The contractor tried to estimate the number of
9 faulty wells that would have to have some kind of corrective
10 action taken on them. Then multiplied that frequency by an
11 assumed unit cost for that particular kind of operation,
12 recementing or whatever, so the bulk of the cost approximately
13 \$487,000,000 out of the \$665 that I was speaking of, directly
14 relates to the size of the environmental problem. To the
15 extent that the contractor was conservative in his assumptions,
16 and there are a great many more leaky or faulty wells out there
17 the cost will be higher. To the extent that the contractor
18 over estimated the problem, and there are many fewer wells
19 that need attention, the cost will not be anywhere near that
20 high. The contractor estimated something on the order of
21 21,000 wells that would need some kind of action on them.
22 Finally, based on EPA's own work, we have tentatively looked
23 at and concluded that the possible impact of these regulations
24 would be something on the order of loss of production of
25 9,400 barrels per day, which is a fraction of one percent of

1 total annual output of any of the states.

2 Let me quickly speak now to one more item, the
3 relationship to the Hazardous Waste Management Program. I've
4 already mentioned the accelerated listing of states, and
5 comment is requested on the states we have listed, and our
6 plans for listing the remainder. Basically, the separation
7 have sought between UIC and Hazardous Waste is that the
8 Underground Injection Control Program would be the controll
9 mechanism for regulating the holes in the ground. To the
10 extent that there are surface facilities associated with an
11 underground injection control operation, which deals in
12 hazardous waste, the surface facility generally would have to
13 obtain permits under the Hazardous Waste Management Program.
14 But the hole in the ground would be subject only to an Under
15 ground Injection Control Program and the requirements in the
16 UIC program. In cases where no surface facilities exist but
17 hole in the ground still deals in hazardous waste, the UIC
18 permit will be the only permit the operator must obtain. Ho
19 ever, in the special section 146.09, the RCRA requirements f
20 record keeping, reporting and fulfilling the manifest cycle
21 are applied through the UIC regulations to such people. All
22 of this, of course, your specific comments are requested.

23 I think that pretty much wraps up what I wanted to
24 say to give you a quick over-view. I apologize if I've been
25 too long. Let me turn it back to the Chairman, Mr. Levin.

1 MR. LEVIN: Thank you, Paul. Ladies and gentlemen,
2 because the primary purpose of this hearing is to receive
3 public comment, and because we want to make sure that every-
4 body who has registered to speak has a chance to do so, we
5 will not entertain questions from the floor. However, for
6 your convenience, at the end of the day if there is sufficient
7 time we would be happy to respond to factual questions con-
8 cerning the regulations which would be off the record and not
9 part of this official hearing. For that purpose there are
10 3x5 cards available to you at the registration desk for you to
11 jot those questions down.

12 In addition, a guide has been prepared called A Guide
13 to the Underground Injection Control Program. It looks like
14 this. That covers in summary form everything that Mr. Baltay
15 covered and then some; so, if some of you do not want to go
16 through the trouble of reading the regulations from cover to
17 cover, this guide is a pretty good way for you to get infor-
18 mation. I hope there are still some available.

19 Now for some housekeeping rules that I'd like to talk
20 to you about before we get into the presentations. The room
21 has been divided into smokers and non-smokers, which I'm sure
22 you have already discovered; with smokers to my left and non-
23 smokers to my right and I would request, for everybody's comfort
24 that you would adhere to those rules. There will be an evening
25 session tomorrow evening that will cover both the 146, that's

1 the Underground Injection Control Regulations that we're goi
2 to be talking about today, and the Consolidated Permit Regu-
3 lations that we'll be having a hearing on tomorrow. There
4 will be a single evening hearing tomorrow evening and that
5 session is primarily for those who could not attend during t
6 day sessions. Registration for that hearing will begin at 7
7 and end at 7:30, and the hearing will begin at 7:30 in this
8 room.

9 Comments received at this hearing today and other
10 hearings that will be held throughout the country, along wit
11 any written comments will be made part of the official docke
12 in this rule making process.

13 Now for your information, I'd like to just review
14 where the additional hearings will be held. The next hearin
15 will be in Washington, D.C. on July 23, 24, and 25, with
16 July 24th designated as an evening session as well as a day
17 session. The hearing will be held in the HEW Auditorium,
18 330 Independence Avenue Southwest, Washington, D.C. The
19 next hearing will be held on July 26, 27, and 28th, with Jul
20 26th also designated as an evening hearing as well as a day
21 hearing. That hearing will be held in Chicago at the Water
22 Tower Hyatt, 800 North Michigan Avenue, Chicago, Illinois.
23 The next hearing will be held July 30, 31, and August 1st, w
24 the 31st being designated as an evening session. That heari
25 will be held in Region Ten, 1200 6th Avenue, Seattle, Washin

1 in the auditorium.

2 Some of you may not be aware, but due to public
3 request, we have now set a fifth hearing. That fifth hearing
4 will be held on August 28, 29, and 30th, U.S. Post Office
5 Auditorium, Room 269, 1823 Stout Street, Denver, Colorado. In
6 addition to having the fifth hearing, we have also extended
7 the comment period for the UIC Part 146 Regulations to coincide
8 with the comment period on the Consolidated Permit Regulations
9 which will now end on September 12, 1979.

10 The docket or the public record, if you will, may be
11 seen during normal working hours in Room 1045, East Tower,
12 Waterside Mall, 401 M Street Southwest, Washington, D.C.,
13 that's EPA Headquarters.

14 We expect transcripts of each hearing within about
15 two weeks following the close of the hearing. Transcripts will
16 be available for reading at any of the EPA Regional Office
17 Library. A list of those locations is available at the
18 registration table.

19 Some more rules of conduct. Actually, the rules of
20 conduct will take longer than some of the testimony, but I
21 have to go through them with you. The focus of the public
22 hearing is on the public's response to a regulatory proposal
23 of the Agency. The purpose of the hearing as announced in the
24 April 20, 1979, and the June 1, 1979, Federal Register Notices,
25 is to solicit comments on the repropoed Part 146 UIC

1 regulations. Comments directed to the proposed Consolidated
2 Regulations will not be covered here today. Persons wishing
3 to make comments on any portion of the Consolidated Permit
4 Regulations should do so during the two days following this
5 hearing. If you are interested in making a statement at the
6 Consolidated Permit hearing, please see one of our staff at
7 the registration desk. Now having said that, often times the
8 way the regulations have been written it is difficult, and I
9 am aware that it is, to divorce the parts 122, 123, and 124
10 from the part 146. In cases where the testimony appears to
11 be germane to the part 146, I will allow that to continue.
12 If it is strictly a subject that should be covered tomorrow, I
13 will have to ask the speaker to defer until tomorrow. I will
14 use my judgment in that area.

15 This hearing is being held, not primarily to inform
16 the public nor to define the proposed regulations, but rather
17 to obtain the public's response; and thereafter, to revise
18 them as may seem appropriate.

19 All major substantive comments made at this hearing
20 and others received throughout the comment period, will be
21 addressed during the preparation of final regulations. The
22 Agency response to comments made by the public will be pub-
23 lished as part of the preamble to the final regulations. Be
24 in mind that these are national hearings, there is no need to
25 make your comment more than once. If you speak today, you

1 do not have to repeat yourself in Washington next week. Written
2 comments will be given as much weight as oral comments. Again
3 this is not a formal adjudicatory hearing with the right to
4 cross examination.

5 Member of the public are to present their views on
6 the regulations to the panel, and the panel may ask questions
7 of individuals presenting statements to clarify any ambiguity
8 in their presentation. However, the speaker is under no
9 obligation to answer questions of a broader nature beyond this.
10 Although within the spirit of this information sharing hearing,
11 it would be very helpful to the Agency if speakers would
12 respond to questions. I would appreciate it as each speaker
13 steps up to the rostrum that he indicates to me whether he
14 will respond to questions. If he forgets to do so, I will
15 ask him.

16 Due to time limitations, I do reserve the right to
17 limit lengthy questions, discussions, or statements. I will
18 ask those of you who have prepared a statement who are going
19 to make it orally, please limit yourself to a maximum of 10
20 minutes. If you have a written statement, I would appreciate
21 it if you would try to summarize rather than read the statement.
22 If you have a copy of your statement, please submit it to the
23 court reporter before beginning your oral presentation. If
24 you wish to submit a written rather than oral statement, please
25 make sure the hearing coordinator, Ms. Sharon Gaskin, has a

1 copy. Ms. Gaskin is sitting at the table and has just raise
2 her hand. Written comments will be included in their entire
3 into the record. If from a speaker's comments, it appears
4 that regulations have been improperly interpreted, I or any
5 panel member may offer a clarification. Persons wishing to
6 make an oral statement who have not made an advance request
7 by telephone or by writing, should indicate their interest on
8 the registration card. If you have not indicated your intention
9 to give a statement at either today's hearings on UIC Part 1
10 or the following days of hearing on the Consolidated Permit
11 Regulations, and you decide to do so, please return to the
12 registration table and fill out a card. As we call upon an
13 individual to make a statement, he or she should come up to
14 the lectern after identifying himself or herself to the court
15 reporter, and deliver his or her statement. We will break
16 for lunch about 12 o'clock, and reconvene at 1:30. Then
17 depending on our progress, we will either conclude today's
18 session or break for dinner at about 5 o'clock and return.

19 We will make sure that everybody who wants to speak
20 will have an opportunity to speak today. Phone calls will be
21 posted on the registration table at the entrance, and restrooms
22 are located outside of the main ballroom, I believe its down
23 stairs. If you wish to be added to our mailing list for future
24 regulations or other material, please leave your business card
25 or your name and address on a 3x5 card at the registration desk

1 Finally, just relax, this is an informal hearing, it looks
2 like its going to be a long day. If anybody wants to tell an
3 Aggie joke depending on the time, I will allow it.

4 I will now read the names of the people that I have
5 who have registered and desire to make a statement, in the
6 order that I will call upon them. If there is any error or
7 over-sight, please let someone at the registration desk know.
8 I apologize in advance, for any names I may mispronounced.
9 The first speaker, Mr. Don Schnacke, Executive Vice-President,
10 Kansas Independent Oil and Gas Association; next, Mr. A. W.
11 Dillard, President, Permian Basin Petroleum Association; after
12 Mr. Dillard, Dr. James Miller, Assistant Director of Environment
13 Affairs, testifying on behalf of the American Mining Congress,
14 that's Assistant Director of Environmental Affairs, Freeport
15 Minerals Company. Next, Francis C. Wilson, II, Chairman of
16 Environment and Safety Committee, Independent Petroleum
17 Association of American. Fifth, Mr. Herman A. Engel, President
18 of East Texas Salt Water Disposal Company; sixth, Mr. James
19 C. Frank, Environmental Consultant, Dupont; seventh, Mr. Richard
20 L. Stamets, Technical Support Chief, New Mexico Oil Conserva-
21 tion Division. Next, Mr. Ken Hanby, Assistant Supervisor,
22 Alabama Oil and Gas Board. By the way, if I'm going too fast
23 you don't have to write this down, I'll read them again. Five
24 at a time probably. Steve Kelley, Executive Director, Oklahoma
25 Independent Petroleum Association; next, number 10, no name but

1 Panhandle Producers and Royalty Owners Association; Mr. Jer
2 Mulligan, Chief Solid Waste and Underground Injection Section,
3 Texas Department of Water Resources; Ms. Babette Higgins
4 Vice-President, Texas Environmental Coalition; Mr. Harold
5 D. Wright, Chairman, National Energy Policy Committee, Texas
6 Independent Producers Royalty Owners Association. Mr. Ralph
7 A. Dumas, Director of Arkansas Oil and Gas Commission;
8 Mr. James Greco, Director of Government and Industry Affairs
9 Browning, Farris, Industries, Inc.; Mr. John G. Soule, Chief
10 Legal Counsel, Texas Railroad Commission; Mr. Troy Martin,
11 Manager of Engineering, Texas American Oil Corporation. We
12 up to number 18. Mr. Charles W. Farmer, Petroleum Engineer,
13 Wyoming Oil & Gas Commission; Mr. Bob Hill, Vice-President,
14 TISUMEA, Inc., Corpus Christi, Texas. Mr. Clyde D. Ford,
15 Senior Counsel, Texas Gulf, Inc., Houston, Texas. Arnold C.
16 Chauviere, Assistant Commissioner of Conservation, Office of
17 Conservation. Mr. David L. Durler, Supervisor, Environmental
18 Affairs, Texas Uranium Operations, U.S. Steel Corporation,
19 Corpus Christi. Mr. Mark Polizi, Planning Engineer, Union
20 Carbide Corporation, Metals Division, that's in, I'll try to
21 pronounce this name, Benavides, Texas. One more, Mr. J. R.
22 Andersen, Manager, Environmental Affairs, Owen Corporation,
23 Lake Charles, Louisiana.

24 We will now begin with our initial speaker, Mr. Don
25 Schnacke, Executive Vice-President, Kansas Independent Oil and

1 Gas Association, who will be followed by A. W. Dillard, Presi-
2 dent, Permian Basin Petroleum Association. Mr. Schnacke.

3 MR. DONALD P. SCHNACKE: I am Don Schnacke of
4 Topeka, Kansas, and I am Executive Vice-President of the
5 Kansas Independent Oil and Gas Association. And I appreciate
6 the opportunity of being put up early in the agenda so that I
7 can move on to another hearing this afternoon, that has equal
8 importance to our association.

9 KIOGA was founded in 1937--

10 MR. LEVIN: Mr. Schnacke, will you answer questions?

11 MR. SCHNACKE: I will.

12 MR. LEVIN: Thank you.

13 MR. SCHNACKE: Our association was founded in
14 1937 primarily to improve the market for the crude oil and
15 natural gas program, and to promote the welfare of the oil and
16 gas industry in our state. We represent the voice of the
17 majority of the oil and gas producers in Kansas.

18 Our purpose of making these comments today is to call
19 attention to the plight of the small stripper oil producers in
20 Kansas, and to make certain technical comments pertaining to
21 the proposed rules.

22 We understand the intent of the Act, and for that
23 reason it is difficult for us to generally oppose the plan, but
24 we would hope that a moderate posture could be taken to develop
25 so it will not adversely affect the future of the small oil and

1 gas producers of our state.

2 Our Association was represented here in Dallas on
3 October 13, 1976, where we presented a brief oral statement.
4 We followed that with written comments later, and filed with
5 your Agency. Some of our objections have been met, and we
6 have still more objections to the procedures which we will
7 briefly leave with you.

8 We again call to your attention under the heading o
9 the Act, Legal Framework of the Regulations, which states th
10 the proposed rules are not to interfere with or impede oil a
11 gas underground injection, and that it is further meant to
12 mean stop or substantially delay such activity.

13 We continue to believe that the proposed regulation
14 will stop and substantially delay injection activity in Kans
15 because of the detailed requirements, and economic expense t
16 implement the regulations.

17 Kansas has nearly 1,900 producers and producing enti
18 operating nearly 51,000 oil and gas well in 87 counties. Mo
19 of the oil produced is classed as stripper, averaging 2.7 ba
20 of oil per day. The overall production per well throughout
21 Kansas is only 4 barrels per day. Out of 1,900 Kansas produ
22 150 of these produce one barrel or less perday and many of t
23 down to 0.2 barrels or, you probably haven't heard this befo
24 but 8.4 gallons per day. The water produced with this produ
25 is immense, nearly 8 times the amount of water times the oil

1 that we produce. We have approximately 13,000 disposal and
2 injection wells with 2,100 waterflood projects.

3 For that reason, we continue to believe the regula-
4 tions will stop or substantially delay oil production in
5 Kansas, Bring on premature abandonment and plugging, because
6 of the increased federal regulation and expense, generally
7 creating an atmosphere of increased economic burden not justi-
8 fying the future development of minimum production in our state

9 In that regard, and responding to your request on
10 page 23748 under Economic Impact, to consider an exemption
11 for small producers from these requirements, we again refer to
12 our January 12, 1977, written comments, produced at considerable
13 expense to our Association by a competent consulting petroleum
14 engineer practicing in Kansas. This report reflects economic
15 impact data, and does justify an exemption for small stripper
16 operators.

17 We believe the exemption should be at least limited to
18 stripper production, but remain under an approved, recognized
19 and established state jurisdiction which we have been doing
20 since 1936 in Kansas.

21 Additionally, in face of the national urgency of en-
22 couraging increased domestic production to offset out depen-
23 dency on foreign crude oil import, these proposed regulations
24 should be implemented only in such manner not to disturb the
25 maximizing of the life of low production wells typically found

1 in our state. We believe the regulations should permit the
2 substitution of an ongoing effective state programs for all
3 or part of the federal program. This would be the least dis-
4 ruptive and the least costly action that could be taken.
5 Certainly in Kansas, this would be done with minimal difficu-
6 I understand the State of Kansas will probably appear at a
7 later hearing, public hearing, where they will present their
8 view.

9 We have made, in the interest of time and the numbe-
10 of witnesses you have, we have prepared through our Environ-
11 mental Committee 8 technical comments that I'll just put int-
12 the record, if the reporter will put them in the record, I
13 think you'll pick them up and debate those in due time.

14 We do ask that we be permitted to update our 1977
15 written comments so that we can comment both on this section
16 and on the permit section which we didn't receive until just
17 last week, and we haven't had a chance to circulate those
18 around; however, we'll get those to you by the September 12t-
19 period. We will include in that report economic justificati-
20 for establishing an exemption for minimum production which f-
21 the first time you have reacted to in your proposed rules.

22 MR. LEVIN: Thank you, Mr. Schnacke. Questions by
23 members of the panel, please. None? Thank you very much.
24 (The following are the 8 technical comments offered by KIOGA

25 Section 146.06 Area of Review: The computation of t

1 zone of endangering influence on Class II wells using the al-
2 ternative 2(C) formula seems too complex and meaningless. We
3 suggest this alternative be dropped.

4 Section 146.08 (b) Mechanical Integrity: This re-
5 quires a combination of mechanical integrity tests per well.
6 We believe one test is all that is needed and the expense of
7 more than one is not justified.

8 Section 146.22 (d) Construction Requirements:
9 Apparently, the rules require that old injection and disposal
10 wells must come into compliance with the requirements for
11 construction of new wells. In Kansas, this requirement would
12 be difficult to comply if not impossible in many cases. The
13 rules should provide for cases where compliance is impossible
14 so that production can continue without disruption.

15 Section 146.22 (b) Construction Requirements:
16 We believe the number and type of logs and tests should be
17 flexible and left to the discretion of the state director.
18 The cost of these logs and tests are very high and much of
19 these services are not readily available in Kansas.

20 Section 146.23 (b) Abandonment of Class II Wells: We
21 believe the requirement for a performance bond should be left
22 to discretion of the states. We believe the states should be
23 given broad latitude in establishing one of several acceptable
24 plugging and abandonment procedures. We anticipate small
25 operators having difficulty obtaining a performance bond.

1 Section 146.24 (b) Monitoring Requirements: Consis
2 tent with our comments of October 13, 1976, we believe weekl
3 monitoring is unrealistic for salt water disposal. This sho
4 be on a monthly basis, the same as provided for injection we

5 Monitoring of gravity disposal wells is meaningless
6 because this type of injection does not endanger ground wate
7 This monitoring requirement should be dropped from the re-
8 quirements.

9 Section 146.24 (b) (4) Reporting Requirements: The
10 maintenance of the results of monitoring for three years is
11 impractical for Class II wells because of buying and selling
12 leases and the short life of these wells. The annual report
13 required under Section 146.24 (c) (1) could contain this
14 material.

15 Section 146.24(c) Operating, Monitoring and Reportin
16 Requirement: We abhor the number of reports and the complexi
17 thereof. Small Kansas stripper operators, many operating out
18 of their homes, do not have sophisticated staff for engineeri
19 and legal reporting. Many do not have secretarial staff and
20 are overwhelmed by federal reporting requirements at all leve
21 We ask that you reduce the reporting requirements and limit
22 them only to that which is absolutely necessary.

23 Mr. Levin: Next speaker is Mr. A. W. Dillard, Presi
24 lent, Permian Basin Petroleum Association, to be followed by
25 Dr. James Miller, Assistant Director of Environmental Affairs

1 Freeport Mineral Company.

2 MR. A.W.DILLARD, Jr.: Mr. Levin, thank you, and
3 members of the panel. As Mr. Schnacke said in view of the
4 number of the people testifying, I will skip alot of this
5 but I do wish this whole testimony be put into the record.

6 The Panhandle Producers Association and the West
7 Texas Oil and Gas Association are joining us in this statement
8 so you can scratch the Panhandle Producers' testimony.

9 My name is A. W. Dillard, Jr., I am President of the
10 Permian Basin Petroleum Association, representing approximately
11 1,500 members located in West Texas and Southeastern New Mexico.

12 I am an independent oil and gas operator, with
13 approximately 32 years of experience in drilling for, finding
14 and producing both crude oil and natural gas in West Texas,
15 New Mexico, Oklahoma and Mississippi.

16 ~~The proposed, and re-proposed~~ rules of the Environ-
17 mental Protection Agency, to carry out and implement the intent
18 of Congress, demonstrate major flaws in conception and basic
19 thought.

20 First, the EPA, after 4 years of work in this area,
21 has not yet detailed an existing problem. In the industry,
22 we know of very few problems of groundwater contamination, and
23 these were caused by practices that were in affect 20 to 30
24 years ago. These practices were changed through cooperative
25 investigation and problem solving by industry and appropriate

1 State Regulatory Agencies. The recent study of the IOCC sho
2 no active sources of groundwater contamination from oil pro-
3 ducing operations in the major producing areas. And this,
4 of course, is Texas, Oklahoma, New Mexico, Louisiana and
5 Arkansas. I believe that report has been submitted to the
6 EPA a couple of times already.

7 Let's go on to Section 146 itself, and I will deal
8 only with Class II wells.

9 In West Texas, we have some water out there in the
10 neighborhood of 2 to 3,000 ppm TDS. This can be used for
11 livestock water, but if you do you've got to keep your cattl
12 off the salt blocks. Otherwise, you are going to kill your
13 cattle.

14 We use some water in the neighborhood of 5,000 ppm
15 TDS for irrigation purposes, but it will ruin the top soil u
16 you have a very good leachate system for the top soil.

17 Local waters in our area. Midland has a well water
18 supply of 800 to 900, with a surface lake supply that ranges
19 in 1,500, now this is in ppm TDS. Fort Stockton well water
20 1,700 to 1,800; Odessa, surface lake water supply is 1,800 t
21 2,300; Monahans is 500 to 750. State recommendations are
22 1,000 ppm TDS.

23 By dialysis process alone, to treat waters of 2,500
24 ppm TDS to 500 ppm TDS is a cost of \$1.25 per 1,000. Labor
25 cost will add an additional cost of 30¢ to 40¢ per 1,000 gal

1 more and this doesn't even take into consideration the cost
2 of the plant or the other equipment.

3 Section 146.06. The formula set forth may be feasible
4 for certain areas, but it should be left to the operator to
5 determine whether to use a 1/4 mile radius of review or use the
6 formula. And would somebody please explain to me, and I've
7 studies hydraulics, what is storage coefficient?

8 Section 146.07 was misnumbered as 146.01. State
9 regulatory agencies, having jurisdiction of such matters, pre-
10 scribe to the operator what corrective action must be taken.
11 The agencies have the authority to order suspension of oper-
12 ations of such Class II wells, and order corrective action
13 followed by inspection during, and after completion of such work
14 and approval before recommencement of operations of such wells.

15 Section 146.08. There appears to be no need to per-
16 form two tests to prove mechanical integrity of a Class II
17 well. A simple casing-tubing annular pressure test to some
18 reasonable pressure should be adequate. Care should be exercised
19 so that the casing of an older well is not deliberately destroyed
20 by senseless, or stupid pressure test requirements where
21 exterior corrosion or galvanic action could have weakened the
22 casing to a point below original specifications.

23 If a failure is noted in a tubing-packer-casing pressure
24 test, the operator then has a number of options in which to
25 locate the failure point and take corrective action.

1 Section 146.08(c). The cementing information should
2 prove that no vertical migration is possible. Surface casing
3 cemented by pump and plug method and the circulation of cement
4 to the surface is requirement enough to protect potable
5 ground waters. The top of cement by temperature survey on a
6 long string is also enough information. The other listed logs
7 are no more conclusive of an adequate cementing job than a
8 temperature log. Past experience in an area dictates the
9 cementing requirements for any type of well.

10 Section 146.08(d). The administrator should be re-
11 quired to make the decision on new mechanical integrity test
12 within 30 days after the same is submitted to him by the
13 director.

14 As a note to the EPA. If an operator is drilling a
15 injection well for enhanced recovery operations, or a disposal
16 well for produced waters, he is usually in an area of vast
17 information and past experience. Therefore, your additional
18 information requirements are superfluous and would add nothing
19 except extra expense. The operator has an economic incentive
20 to drill and complete either type of well with the best
21 mechanical integrity possible, because it is his desire to have
22 such a well to last for many years without problems. His
23 knowledge and experience in this area probably far surpasses
24 that of any administrator or staff member with no knowledge
25 of oil field operations.

1 Comment to EPA at the end of 146.08, it would have
2 been better if the EPA had issued the technical guidelines of
3 acceptable methods for conducting and evaluating the permissible
4 test to demonstrate mechanical integrity.

5 Section 146.09. In the event that Congress decides
6 that the EPA must prove that oil production waters are hazar-
7 dous waste, will a Class II well be only subject to the 40 CFR
8 146 until such time?

9 Section 146.21. Do you propose to issue forms for a
10 Class II well application?

11 Section 146.22(d)(i). Directional surveys in the
12 State of Texas are only required on those wells which are
13 purposefully deviated or are in areas of known high deviations
14 due to abnormal formations. We use simple inclination tests
15 which are adequate for this, and we have somewhere in the
16 neighborhood of a 5 to 3 inclination variance which is all
17 that is allowed.

18 Directional surveys are just absolutely not essential
19 in a case such as this, unless your well's facing is maybe on
20 every 2 acres or something like that, you don't have any
21 possibility of getting cross migration.

22 Section 146.22(d)(2)(i). The logging of a surface
23 hole before casing is run is not only a dangerous situation,
24 due to the possibility of the logging tools getting stuck and
25 be unable to recover same, but it is a useless and unnecessary

1 expense and will not provide any material information not
2 already known.

3 Section 146.22(d)(2)(ii). The Texas Railroad
4 Commission requirement to circulate cement by the pump and g
5 method on all strings of surface casing, at the depth speci-
6 fied by competent geologists of the Texas Department of Water
7 Resources, adequately protects the potable subsurface waters
8 of the State of Texas. Even those waters which are not pots
9 at deeper depths, that the state has designated to be protec
10 on intermediate or long string cementing jobs, are done by
11 the Commission's direction.

12 Other oil and gas producing states adjoining Texas
13 also have more than adequate rules and regulations for the p
14 tection of the underground water resources of their state.

15 These logs as set forth would be of absolutely no
16 ~~benefit to the EPA, or the operator of such a well, and are~~
17 an unnecessary added expense.

18 Section 146.22(d)(3)(i) and (d)(3)(ii). Again, let
19 me emphatically emphasized that in the areas of drilling Cla
20 II wells, the operator has at hand a vast amount of past inf
21 mation and experience, and these logs proposed by EPA are ju
22 not all that necessary. Only logging that need be done is t
23 which the operator deems necessary for his work or informati

24 Section 146.22(d)(3)(iii). A temperature survey to
25 indicate the top of cement outside the casing is adequate.

1 use of cement bond log should be at the discretion of the
2 operator. The temperator log to determine packer setting
3 depth would be more then sufficient.

4 Let me comment here. The other day on PBS I had a
5 chance to see a Stock Analyst reviewing what he thought was
6 going to be good stocks for buying. His highest recommendation
7 was Slumber J. I think he had a look at these proposed rates
8 before we did.

9 Section 146.22(e). The information, requested under
10 this section, is subject to some wide variations by actual
11 measurement or calculation and/or is subject to interpretation
12 or extrapolation that again can vary by wide multiples. Some
13 of this information may have to be determined by coring, a
14 very expensive operation. Some information may be available
15 from previous operations in the area, but the cost to obtain
16 this on each Class II well is ~~ridiculous and of not benefit.~~
17 The EPA should prove real need, use, value and cost effective-
18 ness.

19 Section 146.23 Abandonment of Class II wells, part (a)
20 The rules of the Texas Railroad Commission require prior approv
21 of all plugging operations and, in general 100 percent of the
22 operations are currently witnessed by the RRC field inspectors.
23 This is also the case in New Mexico. Any addition, by other
24 agencies, to these methods and procedures are unnecessary and
25 totally wasteful.

1 Section 146.23(b). The various oil and gas product
2 states currently have in place either plugging bonds, or
3 sufficient means to reach an operator's assets, such that
4 additional bonds are unnecessary.

5 Section 146.24 Operating, monitoring and reporting
6 requirements, part (a)(1). The calculation of fracture
7 pressure is a somewhat inexact science and variations in the
8 range of 267 percent in our part of the country, this fractu
9 rating can run from a 1.2 to a .4 or .5, so that will give y
10 your variance there of 267 percent. No arbitrary standard c
11 be set down that will fit all cases. However, from a practi
12 and economic point of view, the cost of high pressure inject
13 fluids in secondary and tertiary projects is such that every
14 operator checks all projects and wells constantly to assure
15 that the fluids are confined to the zone of interest and not
16 being allowed to escape and be wasted.

17 Due to the character of most reservoirs, the horizon
18 permeability and porosity is greater than the vertical. The
19 fore, the fluids normally migrate in the horizontal easier
20 than they do in the vertical. This is where your concern is
21 is vertical movement and not so much in horizontal.

22 Section 146.24(c). It is hoped that the manner of
23 reporting annual data will demonstrate some semblance of bas
24 intelligence and reasoned thought. A study of the ideology
25 methods, and forms used by the DOE for the reserves reporting

1 will demonstrate a great variety of things not to do. This
2 information can readily be obtained from current state records.

3 Section 146.25(a). My only comment there is, what
4 does 122.36 say? I keep getting referred back there all the
5 time and it refers back to 146.

6 Section 146.25(b and c)--

7 MR. LEVIN: We do that to see if you've really read
8 the regulations.

9 MR. DILLARD: Five times. Section 146.25 (b and c).
10 The collection and presentation of these maps and data will be
11 both costly and time consuming to prepare, and represent
12 something that industry has long done on an informal basis.
13 This data must be confined to public reports.

14 Section 146.25(d). Estimates of proposed rates and
15 pressures present no problem to industry, however, detailed
16 studies of injected fluids are unduly burdensome and serve
17 no useful purposes. When you're running a secondary operation,
18 you know what's going into that fluid all the time because
19 it's a very controlled process. If you have disposal fluids,
20 you know what's coming out and probably a one time analysis
21 of that water is about all you all would need. You wouldn't
22 have to have it every month or every 6 months, or anything on
23 that order, it would appear to me.

24 Section 146.25(e and f). The requirements proposed
25 under this section are truly burdensome and may, or may not,

1 be impossible to ascertain and report.

2 Section 146.25(h). It could well be construed that
3 a registered engineer would have to prepare and submit the
4 information as required by the statement of the requirements
5 under this section, and many independent operators are not
6 registered engineers or do not have one working for them. A
7 schematic drawings are more than adequate for such purposes.
8 The industry probably does not have the personnel available
9 carry out this program and this would serve no demonstratable
10 worthwhile purpose. This requirement does illustrate the fact
11 that EPA has still not become knowledgeable about the industry
12 whose purported problems it seeks to correct, and illustrate
13 the fact that, although industry cannot operate with a staff
14 lacking knowledge and experience, the federal government can

15 Section 146.25(i). Normally no formation testing
16 programs are run on new injection wells, and industry has no
17 knowledge of what the Agency is thinking about here.

18 Section 146.25(l). Books could be written on this
19 subject. Simply, in case of leaks, shut down, repair, and
20 start injection again. The Texas Railroad Commission, the New
21 Mexico Conservation Commission, the Oklahoma Commission, all
22 inspect these things. If you have a problem they inspect it
23 and see to it that mechanically it has the integrity that it
24 should have and then carries on.

25 Section 146.25(o). Already handled in producing st

1 by appropriate state agencies. Any cash bond will only further
2 slow down or stop domestic production. Suggest the agency
3 read current newspapers regarding energy shortage in the U.S.
4 today.

5 Section 146.25(p). The statement of this requirement
6 makes the assumption that the applicant will construct the
7 facility, or drill and equip the well, prior to obtaining a
8 permit. No operator of oil and gas properties can afford
9 to make the investment necessary to drill and equip a well, or
10 wells, and then wait on the typical federal agency to issue a
11 permit. This statement demonstrates a complete lack of know-
12 ledge of the real economic world we live in. Again, how can
13 mechanical integrity be demonstrated prior to completion?

14 Thank you, gentlemen. I will answer any questions
15 that I may be able to do so.

16 MR. LEVIN: Thank you, Mr. Dillard. Members of the
17 panel, any questions?

18 MR. BALTAI: I'm looking at 122.36, and I guess I'm
19 wondering why you were puzzled by that statement.

20 MR. DILLARD: I don't have it in front of me at the
21 present time, and I've been in Washington on another matter for
22 about 10 days. When I read that I kept being referred back to
23 something, and I never did figure out what 122.36 was saying.
24 Seems to me I was being referred back to 146, and in 146 I was
25 being referred back to 122.36

1 MR. BALTAY: You do understand that 122 will lay th
2 fundamental program requirements.

3 MR. DILLARD: Yes, sir.

4 MR. BALTAY: So its the requirements of who is to
5 apply for permits, and who may be authorized in other fashio
6 The definition of the content of application is all
7 defined for you in 122.

8 MR. DILLARD: I think I'm going to be covering 122,
9 123, and 124 tomorrow. It did appear inappropriate somewhe
10 because everytime I looked around I was referring back to 1
11 At the time when I started all this, we did not have the 12
12 23, or 24. We just bearly got those in. I'm like Mr. Schna
13 we just bearly got them in. Thank you.

14 MR. LEVIN: Mr. Dillard, can you stay for a moment.

15 MR. DILLARD: Yes.

16 MR. LEVIN: You raised a number of questions in you
17 testimony, and rather then tried to respond to them now, we
18 will reply to you in writing. For example, what is the stor
19 coefficient, et cetera, we will respond to you but not at ti
20 time.

21 MR. DILLARD: I appreciate it, because I tried to
22 it up in all sorts of hydraulic books and I never did come
23 across it.

24 MR. LEVIN: You also might want to see one of our
25 technical people here today, who, I think, can explain that

1 you as we see it. Thank you very much.

2 MR. DILLARD: Thank you.

3 (The following 5 paragraphs are copied from Mr. Dillard's
4 testimony that he wanted included in the record.)

5 "Second, the EPA has ignored 'degree of risk'. Oil
6 field produced brines in no way present the same danger to life
7 and health as most of the common chemicals to be disposed of
8 from other industries. The rules, as promulgated, indicate
9 great effort to be 'fail-safe' and do not consider that a
10 'risk free' society is not possible. We commend their worth-
11 while dream and laudable theoretical goal.

12 "Third, the EPA apparently has little respect for the
13 value of time or money. All design is a compromise and some
14 trade-offs are inevitable. Economics cannot be ignored, and
15 every activity reaches a point of diminishing returns, at
16 which the prudent operator stops.

17 "Fourth, the EPA regulations, for injection wells, do
18 not reflect the statement that the EPA has, in truth, inter-
19 faced with competent, experienced state agencies in either the
20 oil and gas producing states, or the BLM, who have been for
21 years learning about underground waters, and developing operating
22 rules to protect them.

23 "Fifth, the EPA has thoroughly confused people in many
24 industries by the various conflicts between the UIC regulation
25 and RCRA regulations. These differences must be timely resolved

1 to prevent any increased effect on our current economic or
2 energy supply problems.

3 "Sixth, the EPA has violated Federal regulations by
4 setting public hearing dates prior to publication of propose
5 rules. Thus, industry lacks adequate time to study the pro-
6 posed regulations and prepare testimony. Surely, the federa
7 agencies should take the lead in adhering to the 'laws of th
8 land.'"

9 MR. LEVIN: Dr. James Miller.

10 DOCTOR JAMES MILLER: My name is Jim Miller, I'm
11 Assistant Director of Environmental Affairs, Freeport Minera
12 Company.

13 The statement that I'm submitting today will be on
14 behalf of the American Mining Congress, an industry associat
15 which encompasses the producers of the bulk of america's coa
16 uranium, metal, industrial and agricultural minerals; and th
17 manufacturers which supply mining industry. I'll be glad to
18 answer any questions after the presentation, and copies of t
19 written statement will be submitted to EPA later on during t
20 week.

21 Today's AMC comments will address a few of the ma
22 concerns of the UIC regulations part 146. Of necessity, the
23 will be some over-lap of part 122. Although, we will presen
24 those comments tomorrow. Detailed written comments will be
25 submitted in September.

1 The proposed Underground Injection Control regulation
2 will affect all in-situ mineral recovery facilities which
3 depend upon injection wells for their operation. These practices
4 come under the regulations of Class III wells. Examples of
5 these types of operations include the solution of mining of
6 uranium, copper, potash, salt, and the recovery of elemental
7 sulphur by the Frasch process. In general, in-situ mining of
8 minerals is the process where fluid is injected underground for
9 the recovery of valuable mineral or material.

10 United States depends upon this type of mining for
11 a majority of its sulphur and salt production, and increasing
12 amounts of uranium, copper and other mineral production.

13 Additionally, the use of in-situ mining techniques to
14 develop new sources of domestic energy reserves, such as oil
15 shale is quickly moving out of the experimental stage. In
16 many cases, in-situ mining is the most economical and environ-
17 mental sound method of developing a mineral resource.

18 I'd like to address comments to the economic impact
19 given by EPA. The economic impact of the implementation of
20 the underground injection control program to operate as a
21 Class III well have been grossly underestimated by EPA. The
22 total incremental 5 year cost to Class III regulated industries
23 presented in the preamble of the regulations is stated to be
24 between \$2,000,000 and \$3,000,000. These cost data were
25 developed by EPA's contractor, Temple, Bark and Sloan, and a

1 report and study in the final analysis of cost of underground
2 injection control regulations. The economic analysis presented
3 in this study of Class III wells was based on a draft of the
4 regulations dated August, 1977, and contains numerous assumptions
5 which were not discussed in the preamble by EPA. These
6 assumptions are critical to the accuracy of the cost of UIC
7 compliance for Class III industries. The incremental costs
8 of compliance with geothermal wells and in-situ gasification
9 is given a zero. It should be pointed out that these industries
10 will incur significant cost in complying with the UIC regulations
11 that are now proposed. These costs were not reported
12 because insufficient data existed as to the nature of these
13 practices. Furthermore, it is assumed that current monitoring
14 requirements would be sufficient to meet UIC standards. However,
15 ever, the amount of additional information required, that is
16 the mechanical integrity, logging, et cetera, were not considered.
17

18 These requirements will add sufficient cost to operation
19 of these wells. And I might make a comment, that due to the
20 push now for developing of alternate sources and of domestic
21 energy reserves, the geothermal and other energy requirements
22 are going to become more and more important. These regulations
23 will indeed impact them.

24 The incremental cost for in-situ uranium mining was
25 also given a zero. This cost was based on the assumption that

1 current state regulations governing this practice are such
2 the information now submitted to the state would suffice to
3 obtain a UIC permit. Yet, in the report to the EPA, BPS sta
4 "It is impossible to predict at this time what the economic
5 impact would be to operators. The fact that EPA's contract
6 could not quantify the cost of compliance by this industry,
7 does not mean that significant cost will not be incurred.
8 should be pointed out that information requirements of the
9 proposed UIC regulations, such as well logging, and hydro-
10 geological studies, and more comprehensive than most state
11 requirements.

12 The technical requirements of the regulations also
13 go far beyond what the state now requires.

14 Maximum compliance cost for the Frasch industry is
15 given as \$335. This cost estimate is inordinately low for
16 Frasch operations carried out in marine environment, the
17 requirements for five monitoring wells will cost well over
18 \$1,000,000, and that is a very conservative estimate.

19 The cost of cementing, mechanical integrity testing
20 and logging has been estimated by one company to be over
21 \$22,000,000, for that company.

22 The economic impact associated with the UIC regula-
23 tions should be re-examined, and refined, based on these pro
24 posed regulations in order that a more accurate measure of
25 potential severe economic disruption to Class III regulated

1 industries can be quantified.

2 Area permits. It is imperative that UIC regulations
3 set up a frame work for the granting of true area permits.
4 It is inconsistent to allow the issuance of area wide permits
5 in Section 40 CFR, 122.37, and then structure the procedural
6 and technical requirements of 40 CFR 146 to encompass only
7 individual wells. The purpose of area permitting is to provide
8 a reasonable permitting procedure in those instances where on-
9 going operations are limited to a particular geographical or
10 geological formation, and must have great flexibility in
11 drilling new wells to maintain orderly production in that
12 area of formation.

13 In operations suitable for area wide permitting, all
14 wells are drilled, completed, operated and abandoned using
15 substantially the same techniques. In these cases, regulations
16 recognize that the operator should be required to obtain only
17 one permit covering the area of operations. Furthermore, as it
18 must be demonstrated that the procedure and techniques currentl
19 in use are proposed for use and the operation meet the stand-
20 ards for approval by the administrator or director. Little is
21 to be gained requiring the submission of duplicate data for
22 each new well drilled in the area covered by the permit. And
23 I refer you to 122.37(c).

24 The provisions of 122.37(c) requiring administrative
25 authorization for each new injection well covered by the area

1 permit are not consistent with the operation of realities of
2 Class III projects. For example, Frasch projects are charac
3 ized by numerous short lived wells within a compact area oft
4 on 50 foot space. With the necessity of commencing the re-
5 placement of expired wells within hours after their failure
6 order to maintain formation temperatures, pressures, and pre
7 the irreversible loss of valuable mineral production. Furt
8 the location and mining design variables from the new wells
9 depend on the very recent characteristic of the producing
10 system. Thereby limiting the operators ability to provide
11 advance information for permitting.

12 The requirement of administrative authorization is
13 inconsistent with the area permit concept and is counter-
14 productive to its purpose. So long as new wells are drilled
15 and operated within the perimeters of the area wide permits,
16 simple notification after drilling, giving pertinent data
17 would serve administrative purposes and comply with the requ
18 ments of the act.

19 In order for the area wide permitting concept to se
20 its intended purposes, Parts 122 and 146 must be modified ar
21 self-consistent. This will require that Section 122.37(a) b
22 rewritten to reflect that once an area permit has been issue
23 no additional authorization or permit should be required for
24 the drilling and operation of new injection wells within the
25 permitted area, except when the new well substantially deviate

1 from the condition of the area wide permit.

2 Area permit application should contain the information
3 needed to initially permit the well injection practices taking
4 place, or to take place in the area to be covered by the permit.
5 Because of the dynamic nature of most Class III operations,
6 it is impossible to specify the exact location, the number of
7 wells, or where they will be drilled. The requirement for
8 rapid action for replacement wells prevent loss of valuable
9 mineral resources and mandates that no further authorization be
10 required, and that simple notification be given after the well
11 is drilled. This should satisfy the record keeping requirements
12 of the Agency.

13 It may also be necessary to add definitions, such as,
14 existing injection projects, new injection projects, and in-
15 jection project.

16 ~~To 122.3(c). The phrase, or project, should be added~~
17 to all instances where permitting procedures are being discussed
18 in order that area wide permit holders are not required to
19 comply with individual well permitting procedures. The
20 technical requirements of Class III in 40 CFR Part 146, should
21 likewise be changed to include the project concept. For example
22 146.31(c) should read, no new Class III wells, and then the
23 addition, or project, may begin to operate after an applicable
24 underground injection control program becomes effective. Detailed
25 comments to be submitted later will indicate specific additions

1 and changes that should be made in the proposed regulations
2 allow self-consistency between 122 and 146.

3 Sub-classification. Class III presently includes
4 well injection for the mining of sulphur by the Frasch process
5 solution mining, in-situ gasification of fuel sources, recovery
6 of geothermal energy. Due to the widely different techniques
7 and practices used in Class III injection wells, it is virtually
8 impossible to structure one consistent set of regulations covering
9 all types of wells in this Class. For this reason, Class
10 III should be sub-divided. For example, for Frasch sulphur
11 wells and other wells which do not inject into an aquifer, there
12 is no need for a number of the requirements.

13 EPA has indicated that it is considering not requiring
14 such projects to monitor the injection zones, removing the
15 requirement for the use of corrosive resistant materials,
16 requiring formation testing for the project and not each well
17 and providing more flexibility in the requirement to demonstrate
18 mechanical integrity. AMC whole heartily supports such efforts.

19 On the other hand, the solution mining of uranium and
20 some other minerals, the mineral deposit normally occurs in
21 an aquifer. In such projects, it is important that the injection
22 zone be monitored. Also, thousands of wells may be required
23 to successfully solution mine a single uranium ore deposit.

24 Requirements for well logging and test data should
25 therefore, be reduced to a statistically representative number

1 which should be retained by the operator and made available
2 for inspection. This last sentence also encompasses, I think,
3 most area wide permitted facilities.

4 Wells for in-situ gasification of fuel sources and
5 the recovery of geothermal energy are a distinctively different
6 from either of the two types discussed above.

7 It thus seems clear that Class III presently includes
8 apples and oranges. Sub-classification is mandatory to face
9 the operation or realities of these several industries and
10 prevent major unnecessary economic burden that would result in
11 the premature abandonment of valuable mineral reserves, and
12 failure to initiate those new projects so necessary for the
13 economic health of our country.

14 Information has been furnished EPA and EPA's contract
15 over a period of 3 years that conclusive show a strong similar-
16 ity between underground injection operations and Class II wells
17 and Class III wells. The same economic incentive exists in
18 Class III as in Class II, to conserve fluid characteristics
19 and maintain wells in good conditions free of leaks in order
20 to obtain the maximum production of minerals.

21 There is, therefore, also an apparent economic incentive
22 to Class III well operators which reduces the need for scrutiny
23 of these operations to an elaborate system of case by case
24 permits for existing operations. It is submitted that existing
25 Class III projects should be regulated by a rule for the life

1 of the project.

2 It necessarily follows from the similarity of Class
3 and Class III injection wells, from the number of wells drill
4 in Class III projects within a small area, and the fact that
5 sometimes, particularly in salt domes, thousands of wells ar
6 drilled in search of other minerals.

7 Proposal of an area a review should be applied only
8 to new Class III injection wells. Likewise, the standard fo
9 casing and cementing of Class III injection wells should not
10 exceed the prevailing practice in a particular area or type
11 of formation. If the regulations were cast in such a manner
12 to provide discretion by the director in these matters, rath
13 than as minimum requirements, the local conditions affecting
14 such different types of operations could be adequately addre
15 in the individual area wide permits; thereby, achieve the
16 purpose of the act, the maximum benefit, and the minimum
17 economic disruption.

18 Let me quickly summarize the principal comments the
19 American Mining Congress with respect to the regulations of
20 Class III wells. First, the economic impact of the proposed
21 regulations which are based on a 1977 draft significantly un
22 estimate the economic impact of these regulations on Class I
23 wells. This proposal will have major economic impact on
24 operators of these types of wells.

25 Second, no further permitting or authorization is

1 needed for new wells drilled under and in accordance with an
2 area wide permit. Technical requirements of Class III wells
3 should consider the nature of Class III operations and
4 corrective area wide permitting procedures.

5 Third, subclassification of Class III wells is manda-
6 tory, so that the major differences between types of Class III
7 injection wells can be accommodated.

8 Fourth, there are strong similarities between under-
9 ground operators of Class II and Class III wells and, there-
10 fore, an owner's treatment of Class II wells should be granted
11 Class III wells, also.

12 Many of the matters brought up in these comments could
13 be adequately addressed by granting broader discretion to
14 the director, rather than maintaining the strict minimum re-
15 quirement. The compliance with which may be either impossible,
16 impractical or uneconomical. Thank you.

17 MR. LEVIN: Thank you, Dr. Miller. Questions from
18 the panel, please? Mr. Gordon?

19 MR. GORDON: I believe, Dr. Miller, you indicated
20 you had data on estimated cost of the proposed regulations.
21 For example, you mentioned a figure, I believe, of \$1,000,000
22 for Frasch mining.

23 DR. MILLER: That had to do with one site, the
24 drilling of 5 monitor wells.

25 MR. GORDON: Will you be submitting to us as part of

1 comments specific data on estimated cost that you've been
2 talking about?

3 DR. MILLER: These are estimates that were presented
4 I believe, that individual companies when submitting comments
5 to EPA, will furnish the economic impact.

6 MR. GORDON: Thank you.

7 MR. LEVIN: I have a question. You also mentioned
8 your testimony that many of our requirements such as logging
9 are more comprehensive than what the states now require.
10 Will your company submit any additional data as to which
11 states these might be, and what specific elements are more
12 comprehensive than the states currently require?

13 DR. MILLER: I know that one of the provisions of my
14 company, Freeport Sulphur Company, will be submitting differ-
15 ences, specific differences, between the current practices and
16 the additional practices that are required.

17 MR. LEVIN: Ok, thank you very much, Dr. Miller.

18 DR. MILLER: Thank you.

19 MR. LEVIN: Mr. Wilson followed by Mr. Engel.

20 FRANCIS C. WILSON: I'll be happy to answer any
21 questions from the panel as they come up.

22 My name is Tug Wilson, and I am appearing today on
23 behalf of the Independent Petroleum Association of America.
24 My capacity is the Chairman of the Association's Environment
25 and Safety Committee. I'm an officer of Wilson Oil Company,

1 Santa Fe, New Mexico.

2 The Independent Petroleum Association of America is
3 a national organization with 5,000 domestic explorers producers
4 of crude oil and natural gas. We appreciate the opportunity
5 to be here today and present our general thoughts.

6 While, individually, the companies of our association
7 are not important contributors to the overall energy supply,
8 but as a group, we draw 90 percent of all the wildcat wells
9 in this country, and have produced about half of all the oil
10 and gas produced in this country.

11 We feel that we are the leading edge of our industry
12 and the specific area is so important to our nation today,
13 additional supplies. We are part of the solution of the near
14 term energy problem. Mr. Carter, last night, indicated as he
15 had before, that the solution is three-fold, stands on a tripod.
16 One of the legs is alternative fuels, the other leg is conser-
17 vation, and the third leg is additional supplies.

18 If any of those legs fail, the program fails and our
19 country is in worse shape then it is today. We are in the
20 business to do just that. Explore and produce more oil, we
21 own no pipelines, we refine no product, and we sell to no
22 consumer. We are at the source of the pipeline. We are
23 anxious to find as much petroleum as this country needs, to
24 meet the demand and avoid an unprecedented vulnerability both
25 economic and strategic to foreign sources.

1 As a group, producers are frustrated by the ongoing
2 fruitless attempts by government to find political solutions
3 to essentially economic problems. Additional production is
4 the key to the solution to the near term, and we are the
5 suppliers of that production. We are pragmatists at heart.
6 We've a saying in our industry, that if it makes since try i
7 if it works use it, if it doesn't work, try something else.

8 By accepting the chairmanship of the Environment an
9 Safety Committee, I hope to be helpful in achieving our join
10 goal, protecting the environment.

11 The industries legitimate goal is producing as much
12 petroleum as possible without unacceptably damaging the en-
13 vironment. The EPA's legitimate goal is to protect our envi
14 ment as much as possible without unacceptably damaging energ
15 production. I feel that these two goals can be made more
16 compatible then they have been, and they must be for us both
17 be successful.

18 With respect to the nuts and bolts technical commen
19 on Part 146 of the Underground Injection Control Program, we
20 will submit in writing our comments and suggestions of reach
21 our joint objective, protecting the environment we live in
22 the most efficient engineering practices available. We do
23 appreciate the effort of the EPA to make the rules and regu-
24 lations more workable. Responsiveness and cooperation over
25 the last few years in the development of the regulations is

1 encouraging, and we hope to be able to help further the refine-
2 ments.

3 As you well know, the rules will have a serious effect
4 on producer's ability to do our job. We must emphasize that
5 large companies have staffs, and alternatives that we as in-
6 dependents do not have. The efforts, to date, have gone a long
7 way towards that efficiency we both need for the success of
8 the program. But delays and redundancies have to be avoided.
9 The independent producers competitive edge is its flexibility,
10 and its ability to take advantage of quick breaking events.
11 The reduction of that will have a serious effect on independent
12 producers and on their ability to find the sources of petroleum
13 and gas that we need right now.

14 There are some basic points that must be emphasized,
15 where existing rule, that is to say, state rules are working
16 and problems are in hand and we do not feel that an overlay of
17 more rules, paper work and enforcement is necessary. The
18 EPA's general function is to assure that goal of protecting
19 underground water, but where there are states that have no
20 such rules, the EPA can be most helpful in providing guidance,
21 and assistance in establishing an efficient program. We feel
22 that the states must have the primary responsibility of
23 administering a workable program. EPA can increase its effort
24 to determine if the state programs do in fact work, and where
25 they do, allow them to work.

1 Well, I am not personally an engineer, the other
2 volunteers working on this project indicate the proposed
3 logging and plugging requirements are redundant and in some
4 places illogical. Detailed comments, as I said, will be for
5 coming.

6 Both the EPA and the oil and gas producers are seek
7 effective engineering practices for protection of underground
8 water sources. We, as producers, simply cannot be permitted
9 to be submerged in complicated, redundant, and unnecessary
10 testing and reporting requirements.

11 In summary, our position is first, that where the
12 states have adequate rules and regulations for the protection
13 of subsurface fresh water, the EPA should monitor those states
14 to assure continued success of those programs.

15 Second, some of the rules that are proposed are large
16 ~~unnneeded and unnecessary and will be wasteful and inflationary~~
17 and will definitely interfere with the expeditious production
18 of oil and gas so desperately needed by this company. The esti
19 mate loss of only 9,500 barrels a day, would appear on first
20 blush to be highly conservative, but even at that, based on
21 current refining abilities, that breaks down to about 200,000
22 gallons of gasoline a day, and I am not looking forward to
23 explaining that to our President, and certainly not to an
24 independent trucker.

25 Let us refocus our attention on the new and cumbersome

1 regulation but on the desire goal of using what works. You'll
2 find the independent producers of this country interested
3 and supportive of the achievement of our joint goals.

4 Are there any questions?

5 MR. LEVIN: Thank you. Questions from the panel.
6 Thank you very much, we'll look forward to your written
7 comments on the regulations.

8 Mr. Engel followed by Mr. Frank.

9 HERMAN A. ENGEL: Mr. Chairman, I will answer some
10 questions at the end.

11 For those on the staff who may not be familiar, we
12 did, Ms. Phillips, accept the real responsibility on the East
13 Texas Salt Water Disposal Company was formed some 38 years ago,
14 with the primary purpose of protecting the environment in and
15 around the largest oil field in the lower 48 states of the
16 United States. Since inception, the Company, ~~under the strict~~
17 supervision of the Texas Railroad Commission, has injected
18 approximately six billion barrels of salt water that have been
19 recovered in association with oil production industry. Currentl
20 we inject almost 700,000 barrels which is about 1/4 of a
21 billion barrels each year, and that comes from about 6,000
22 wells that are produced in the largest project of this type
23 of industry.

24 There has never, and I repeat never, been an instance
25 reported in which these operations have been known to cause

1 damage to, or pollution of, fresh water sources. And if you
2 want to see what happens if we just get a small break in one
3 of our pipelines, or somebody breaks it and one of them star
4 to leak, the Texas Railroad Commission people are there like
5 a covey quail. They just pounce right on us and make sure w
6 keep the environment clean.

7 Now to stay within your time limit, I'll only high-
8 light a few areas today and submit detailed written report
9 later. And these comments pertain only to those portions of
10 the proposed regulations relating to 146 Class II wells.

11 Despite the statement by the EPA in the Federal
12 Register of Friday, April 20th that "EPA believes this re-
13 proposal represents a more flexible and workable regulatory
14 scheme", the reproposal imposes many costly, non-beneficial
15 and duplicative rules and regulations on those state regulat
16 agencies, such as the Texas Railroad Commission, which have
17 excellent pollution control programs, and on those who opera
18 disposal and/or injection facilities in those states. The
19 East Texas Salt Water Disposal Company then continues to
20 strenuously object to the imposition of these regulations an
21 is of the opinion that the objectives of the Clean Water Act
22 can adequately be accomplished if the EPA will review the
23 state's current control programs, such as Texas, and issue
24 an order for those states with adequate controls saying, "Th
25 State of _____ is required to maintain a program to pro

1 all underground drinking water sources". That's strictly all
2 we need as far as the Class II wells go.

3 The cumbersome complexity of the proposed rules must,
4 in part, be attributed to EPA's efforts to write one rigid set
5 of regulations applicable for the many thousands fields, oil
6 and gas fields, whether they be 1,000 feet deep or 31,000 feet
7 deep, or whether they happen to be in Alaska or off the coast
8 of New England. There are just no two fields alike and
9 virtually none of the reservoirs have absolutely homogeneity
10 throughout.

11 The same degree of evvective protection of fresh water
12 sources can be attained in a much less costly and complicated
13 manner by providing a bit more flexibility in the decision
14 making role of the various state directors.

15 As an illustration, more that 30,000 wells have been
16 drilled to a depth of about 3,500 feet in the East Texas Field.
17 Without fear of contradiction, one can state that no new infor-
18 mation of value in protecting sources of drinking water will
19 be forthcoming from many of the numerous required surveys, logs,
20 tests, et cetera, in the drilling and operation of additional
21 enhanced recovery injection wells. Absolutely no new infor-
22 mation.

23 Perhaps some of the following specific comments will
24 be useful in considering changes needed to provide this
25 flexibility to the state directors. To be specific, the

1 following comments are for Part 146, Suparts A and C. And
2 I do have one question of the panel that I'll ask you to
3 answer later, 146.03 definition and reference is made to 40
4 CFR 122.03, and I can't find a .03 in the text anywhere.

5 Part 146.22, Construction requirements. Several
6 of the logs and other tests listed are certainly not needed
7 well developed fields such as this or where existing systems
8 are in operation. For example, (d)(1) deviation surveys wou
9 certainly be adequate in lieu of directional surveys in almo
10 all projects. And, of course, we don't even think that you
11 need deviation surveys.

12 In (d)(2)(i) Electric logs and caliper logs in
13 surface holes are certainly not needed where sufficient deve
14 lopment wells have been drilled and logged.

15 In (d)(3)(i) Gamma ray logs are unnecessary in almo
16 all developed fields for this particular purpose. It is
17 suggested that the last sentence of (d) be revised as follow
18 The Director shall prescribe which of the following logs and
19 tests shall be required in each field or project, instead of
20 all of the following.

21 In (e) once the information in this sub-paragraph
22 concerning the injection formation is a matter of record for
23 the director, the required submission of same for each new
24 well is superfluous in almost all instances.

25 It is suggested that the following be added to

paragraph (e): "The information required in paragraph (e) of this section may be included by reference if the reference is specific in identifying the information in question and is readily available to the director, or the administrator in cases where EPA issues the permit."

Part 146.23 Abandonment of Class II wells, paragraph (b), what does EPA mean when it says, operators shall assure, through a performance bond or other appropriate means the availability of resources, et cetera?

It is suggested that the item be expanded somewhat so that the directors as well as the operators will know what is acceptable to EPA. There are other references made to these bonds, certificate, and other sources throughout the preamble even in Part 122, and other places; and I suggest that they all be written with the same wording rather than each one being different.

Under 146.24, Operating, monitoring and reporting requirements, (b)(3) mechanical integrity tests. The director should have sufficient authority to utilize any one of the methods listed under 146.08(b) rather than some combination of tests. These are not only costly tests, but they interrupt oil producing operations, and most of them don't tell you much anyway.

From a practical operating point of view, most of the tests listed under 146.08(b) are utilized to isolate a leak

1 once a problem is already known to exist.

2 Part 146.25, Information to be considered by the
3 director prior to the issuance of a permit. Much of the
4 information required in this permit for new wells in an exist-
5 ing project will be readily available to the director by
6 reference to previous permits and other sources.

7 It is suggested that the sentence in the first para-
8 graph, "The information required in paragraphs (b), (c) and
9 (f) of this section may be included by reference, et cetera.
10 be expanded to include paragraphs (d)(3), (e) and (h) through
11 (n).

12 Paragraph (o), in contrast to the requirement, well
13 I mentioned that. I think that should be the same as in other
14 places.

15 Now the following brief comment, Mr. Chairman, I
16 have only one comment with respect to 122.37 and that's because
17 it's an integral part of this. I'd like to make that.

18 Under Area Permits, 122.37(a)(1), the term within
19 a single well field project or site in a single space. That
20 tends to eliminate all projects when you say a single well
21 field. There are no single well fields where you conduct
22 injection. The following word is suggested, within the same
23 field (or reservoir) and within the same state. I think that's
24 your intent but you've got a single well field and there just
25 isn't such a thing.

1 In view of the uncertainty as to whether oil fields
2 brines and drilling fluids will, by any stretch of the imagination,
3 ation, be classified as hazardous waste, I'll defer any related
4 comments for the appropriate time.

5 MR. LEVIN: Thank you, Mr. Engel. Are there any
6 questions from the members of the panel?

7 This is an easy one so I'll clarify. You are correct,
8 122,03 was suppose to be 122.3.

9 MR. ENGEL: I just wanted to show you that I read it.

10 MR. LEVIN: I might add that I recall Mr. Engel's
11 testimony 3 years ago, and he was much kinder this time. I
12 might also add, that in case it is not clear, that silence
13 doesn't necessary constitute acquiescence.

14 Mr. Frank followed by Mr. Stamets.

15 JAMES C. FRANK: My name is Jim Frank, and I am
16 employed by Dupont. But today I'm appearing on behalf of the
17 Texas Chemical Council. I am Chairman of the sub-committee
18 dealing with the use of industrial disposal wells by industry.

19 The Council is an association of 77 companied with
20 over 62,000 employees in the State of Texas. Over half of the
21 nation's petrochemicals are produced by member companies in
22 Texas.

23 The Council has a long history of cooperation with
24 state and federal agencies in the furtherance of responsible
25 environmental legislation and regulation. We appreciate this

1 opportunity to make an input into the standards setting regu-
2 lations for the UIC rules and regulations.

3 The TCC, or Texas Chemical Council, has followed the
4 development of the UIC rules and regulations under the Safe
5 Drinking Water Act since their proposal in 1976. At that time
6 our concerns were primarily in the area of industrial disposal
7 wells, although many member companies were also concerned with
8 the broader scope of controls covered by the recovery of oil
9 and gas, leachate mining and other well related activities.
10 At that time, it was obvious to the various experts in these
11 fields that the regulations were unnecessarily extreme in some
12 areas and would cause serious economic impact. The EPA wisely
13 withdrew the regulations for further study and modifications.

14 I did want to state that the member companies of TCC
15 are involved in well activities described in Class I, II,
16 and III. However, the comments that I want to make are for
17 Class I wells, or the industrial waste disposal wells.

18 During the last 2 years, the TCC and others have
19 participated with EPA in several informal work sessions to
20 help develop regulation which would meet the practical and
21 economic objectives of the Safe Drinking Water Act. Generally
22 we believe that Class I regulations as currently proposed have
23 achieved these objectives and provide practical and economic
24 approach to protecting the groundwater without an unreasonable
25 economic penalty to the country. However, we should qualify

1 that by saying that this holds true only perhaps because there
2 are slightly less than 400 wells in this classification. The
3 oil and gas industry having hundred of thousands, I can agree
4 with their problems.

5 In this regard, perhaps the most important facture of
6 the control strategy is the concept of separating the wells
7 into the 5 classes and tailoring the regulations for each
8 class. We support this concept and believe it allows improved
9 opportunity to work out potential problems in one area, while
10 at the same time moving forward in the implementation of the
11 program in other areas.

12 Overall, we endorse the regulations as they address
13 the permitting procedures. Specifically, the two-step procedure
14 for existing systems, and the concept of area permitting. We
15 also agree with permits for the life of the facility with a 5
16 year review regulation instead of repermitting. We also support
17 the elements of an approvable state UIC program, and particular
18 the concept of partial approval of a state program for the
19 various classes.

20 Concerning the various technical aspects of the re-
21 gulations, we believe they are adequate and do not represent
22 excessive limitations. The optional methods for determining
23 area of review are good; however, we believe the states should
24 be authorized to vary the radius by regulation on the basis of
25 geography and/or the type of well. We also believe that

1 recognizing the potential for overlap between RCRA and the UI
2 regulation is important, and we agree with the separating
3 of them at the wellhead. We believe the other technical aspects
4 such as siting, construction, surface casing, tubing and pack
5 and annular injection are acceptable.

6 There is some question concerning the economic impact
7 for Class I wells as they apply to industry. We believe the
8 \$5,000 to \$35,000 range for testing to be reasonable, although
9 probably on the low side. However, the cumulative cost should
10 be in the range of \$1,500,000 to \$10,500,000 or roughly 5
11 times the EPA estimate. As mentioned earlier, there are about
12 400 wells and if you just do a simple multiplication, you see
13 ~~you are off on your numbers.~~

14 It also estimates the cost of remedial work at \$15,000
15 to \$100,000 to repair a well and the total impact to be
16 \$35,000 to \$200,000. This apparently assumes only two wells
17 in the whole nation that's going to be needing some upgrading.
18 Generally, most of the wells are already built the way the UI
19 regulations define, but we would say that 2 is too small. That
20 apparently, we believe, this to be low by 5 to 10 based on
21 the upgrading work that is currently being done by companies
22 having Class I wells.

23 In closing, we appreciate the way the State of Texas
24 particularly the Water Resource Department, and the EPA has
25 worked together with industry and others in the redevelopment

1 of the Class I regulations. This should serve as an example
2 in the development of other regulations, such as those proposed
3 under RCRA. Where practical solutions to real problems are
4 developed, and sufficient flexibility and latitude of engineering
5 is allowed to deal with the unique characteristics of a system
6 within the environment being impacted.

7 I would try to answer any questions you may have.

8 MR. LEVIN: Thank you, Mr. Frank. Are there any
9 questions from the members of the panel. Mr. Baltay.

10 MR. BALTAY: First of all, could you come and speak
11 at all of our hearings? The serious question that I have is
12 that, you know, as you realized that the estimates are what we
13 believe to be the best national economic estimates that we've
14 got, do you have some specifics that will help us refine those
15 numbers as we go through for the promulgation.

16 MR. FRANK: We could develop some and submit them to
17 you.

18 MR. BALTAY: We would appreciate any help you could
19 give us along those lines because we will want to refine our
20 national estimates.

21 MR. LEVIN: Mr. Morekas?

22 MR. MOREKAS: Your point of comment regarding the
23 Resource Conservation and Recovery Act regulations, would you
24 be able to put forth specifics. Are you addressing to the pro-
25 posed regulations or the ones that are in Parts 122 and 123?

1 MR. FRANK: Basically, the approach, I think, speci-
2 ally I think the way they subdivided to a greater extent the
3 areas, like in Class I through Class V, it allows industry
4 dealing with a special area to key in on that. In general
5 terms, I think the RCRA rules are trying to solve all the
6 nations problems with one squeaking set of very complex and
7 very detailed regulations; and I don't think we're going to
8 make any progress in the next 5 to 10 years until we deal wi
9 the more serious problems first and not try to regulate ever
10 thing at once.

11 Now that's still just a general statement, but RCRA
12 I think, is headed for the same type of delay and controvers
13 that the UIC regulations did 2 years ago. Everything was, I
14 believe, was an overkill, and then there was a practical
15 approach by EPA and they backed off and people who were bein
16 impacted were able to discuss in non-adversary conditions wi
17 EPA the type of controls.

18 I think the Class II and Class III people still wou
19 not agree with me that the UIC regs have reached that degree
20 of practical approach.

21 MR. MOPEKAS: I understand you are referring to the
22 over-all designation of hazardous waste as broad definition
23 instead of relying to some form of hazard classification.

24 MR. FRANK: Yes, right.

25 MR. MOREKAS: Okay, thank you.

1 MR. LEVIN: Thank you, Mr. Frank.

2 I might add because we are no where near half done of
3 our list of speakers, I do not intend to call a break. So if
4 anybody feels that they need to leave the room, please do so
5 when you have to. I've also been asked to scratch Mr. Charles
6 Farmer for today of Petroleum Engineer Wyoming Gas and Oil
7 Commission, he'll testify tomorrow.

8 Next speaker is Mr. Stamets followed by Mr. Hanby of
9 the Alabama Oil and Gas Board.

10 RICHARD L. STAMETS: Thank you, Alan.

11 The only Aggie story I know is about the Aggie who
12 left the State of Texas and joined the EPA Staff thereby, in-
13 creasing the average intelligence level of both. (Laughter)
14 Up until that time, I wasn't even aware that they had a Law
15 School down there.

16 I am Dick Stamets, Technical Support Chief, with the
17 Oil Conservation Division of the State of New Mexico. Besides
18 that, I happen to be the Chairman of the Environmental Protection
19 Committee of the Interstate Oil Contact Commission, and a
20 member of the National Drinking Water Advisory Council. How-
21 ever, I am here today representing my position with the state.

22 These are preliminary comments that I am submitting
23 here today on the repropoed regulations; and I would expect
24 that our final comments when they are submitted to be somewhat
25 more extensive, and perhaps changed due to clarification of

1 issues which we have raised at this hearing today.

2 Further, due to the length and the complexities of
3 regulations, we would request that the extension of comment
4 period be made to October 15, 1979. We feel that it is in-
5 appropriate that EPA expect the state oil and gas regulatory
6 agencies to review and develop comments on this tremendous
7 package to all 4 sections, and you've got to read all 4 toge-
8 at a time when we are experiencing the highest drilling rates
9 in years, and to do this over the summer when about half of
10 staff is on vacation half of the time, it is really a tremen-
11 task and is something that EPA ought not to have dumped on us.

12 The first three comments are in the preamble of the
13 UIC Part. We concur with EPA's two proposals for aquifer
14 exemptions. We feel that the states working with the Regional
15 offices of EPA can utilize these exemptions to reduce cost to
16 the states and industry while still protecting usable underground
17 sources of drinking water.

18 We agree that the annulus monitoring is one of the
19 better methods of determining continued mechanical integrity
20 of injection wells. However, some wells cannot be completed
21 such a manner as to permit such a test to be taken, and it is
22 believed that flexibility needs to be provided in this regula-
23 tion.

24 Further, we believe that it is useless to report re-
25 of annulus pressure data which show that there is no problem

1 with the injection well, and we certainly hope that is left
2 out of any final regulation.

3 We believe that Class III wells should be subdivided,
4 so that each one is dealt with individually. For example, geo-
5 thermal wells which return condensed geothermal steam, or hot
6 water, to the originating formation should not be subjected to
7 the same rigorous Class III requirements as a solution mining
8 well. These more properly fit the requirements of Class II
9 wells in that they are normally drilled, produced, and operated
10 in the same general manner.

11 Section 146.04. The shpaes of aquifers and how they
12 interfinger with, underlie or overlies mineral or oil or geo -
13 thermal producing horizons do not lend themselves to simple
14 geographic description such as by section, township and range.
15 For example, one may be able to define aquifer and the line
16 ~~where it interfingers with an oil or gas zone as being an~~
17 aquifer on one side and a non-aquifer on the other side today.
18 But tomorrow, the operators have to drill on the other side
19 of that line and develop an addition to this oil pool, so that
20 6 months or a year down the line, the line has affectively
21 moved over. At that point, to require the operator to come in
22 and has to ask the state to change the state's plan and send
23 a new set of maps off to the EPA in Washington, is really
24 ridiculous. What we need is a definition which allows for the
25 situation where we have additional development which demonstrate

1 that the zone called an aquifer before is no longer an aquifer
2 at that point. I think this can be done, we will be making
3 some proposals along that line.

4 We use the 1/2 mile area of review in the state, so
5 we are not going to have any problem with the EPA's proposal
6 for the area of review.

7 Section 146.07, you've already got the misnumbering
8 there. It talks about corrective action. In New Mexico, we
9 usually take what the operators submit, review it, review our
10 records and we find out which are the bad wells in our opinion
11 and which wells need to have some corrective action taken, and
12 we tell the operator, you must do this.

13 Apparently 122,38, contemplates that it will be done
14 in this manner, whereas 146.07 says the operator will tell us
15 At the very least, you should provide that it be either way.
16 We feel like the director is the one normally who is going to
17 say who will do what. Also, if we do it this way--what we do
18 is say that now you can't inject until you get this repaired
19 If we can do it that way then we can get rid of these compliance
20 schedules which have no place relative to Class II wells. There
21 are just too many Class II wells to set up a bunch of compliance
22 schedule and hire 500 clerks to sit there and see that everybody
23 files the paper work on time to no particular use.

24 We noted the mechanical integrity tests, one is enough
25 in most cases unless you have an indication there is a problem

1 and if you would substitute the words "one or more of the
2 following" for the first line of paragraph (b) of this section.
3 we believe you can resolve that problem.

4 I'm going to skip over my comments relative to 146.12
5 and 146.13, because they are going to be essentially identical
6 to 146.22 and 146.23.

7 There seems to be an improper reference in Section
8 146.21(f) to 122.42(b). I don't think it cross checks there.

9 Section 146.22, the wording of this section seems to
10 prohibit the use of anything but newly drilled wells for injec-
11 tion after the effective date of these regulations. While the
12 wording of the section is not specific as to this point, the
13 requirements such as logging and directional surveys could not
14 be met, necessarily, by a well which had already been drilled.
15 Now the common practice of disposing of oil field brine is
16 putting in a new waterflood project is to use an existing well
17 for injection wells. These wells are reviewed for casing,
18 cementing, construction and must meet essentially the same re-
19 quirements as a newly drilled well. Further, new wells are
20 costing anywhere from \$100,000 to half a million dollars, for
21 wells the depth that we are talking about. Actually, we are
22 having quite a few wells drilled now at \$1,000,000 to \$1,500,000
23 It would seem highly improper to enact requirements that would
24 prohibit the use of sound old wells for injection. The open-
25 ing paragraph of this section appears to require that existing

1 enhanced recovery and hydrocarbon storage wells come into
2 compliance with all the requirements for newly drilled injection
3 wells; these being requirements for construction, operating,
4 monitoring, reporting, et cetera. As such wells cannot be
5 redrilled, recased and recemented, there is a possibility that
6 some could not be in such compliance, however, if such wells
7 are not a threat to underground sources of drinking water, they
8 should be allowed to continue to be utilized as injection wells.
9 EPA needs to spell this out clearly in this section of the
10 regulation.

11 In paragraph (d) of that same section, the requirements
12 for directional surveys on new injection wells borders on the
13 ludicrous. In conducting numerous, literally thousands, of
14 tests to determine mechanical integrity, we have never seen an
15 indication of leakage resulting from the diverging holes as
16 anticipated by this paragraph. Directional surveys should only
17 be required if excessive hole deviation is encountered. The
18 requirement for logging of the surface before running of casing
19 again, is unnecessary. It can result in collapse hole and all
20 kinds of problems.

21 In many of our oil and gas areas, there are literally
22 thousands of wells drilled in the same vicinity and little
23 significant additional data would be generated by these logs.
24 Division rules require the circulation of cement on surface
25 casing, and little valuable information would be gained by the

1 proposed logging. The same would hold true for the long string
2 or intermediate casing except for the circulation requirement.
3 It is felt that the variety and type of logs run should be
4 left to the discretion of the operator. Except in those cases
5 where the director has determined that other logs should be run
6 depending on a unique circumstance. We do agree with the re-
7 quirement that a cement bond log or a temperature survey should
8 be run on the long string or any proposed injection well if
9 cement is not circulated. SP logs have had no significant usage
10 in New Mexico oil fields in 20 years. EPA should spell out the
11 information that they seek to determine from such logging and
12 permit the applicant to submit that information in the best form
13 available to him. This might include other logs or data derived
14 from other sources besides the well itself.

15 Section 146.23. Most injection wells at the time they
16 ~~are to be plugged retain a considerable amount of formation~~
17 pressure and can backflow for an extended period of time.
18 Plugging procedures normally require that this zone be shut off
19 by a bridge plug with some kind of cement on top, or by squeeze
20 cementing before the well is plugged, before the mud would be
21 put in in this case. In such cases that we are talking about,
22 to obtain a solid mud column from top to bottom before setting
23 this bridge plugger, before squeezing the zone, would be
24 essentially impossible. The regulation might be revised to
25 provide that the injection interval shall be squeeze-cemented or

1 otherwise isolated, and that the hold shall be filled from t
2 to bottom and equalized with mud if indeed such a requiremen
3 necessary at all.

4 Section 146.24. Most major oil and gas producing st
5 have existing reporting systems for production of oil and ga
6 injection of water, and so forth. If EPA now requires signi
7 cantly different reports, forms, et cetera, the cost to the
8 states for processing and for industry in reporting could be
9 increased tremendously. In New Mexico's case, a single repo
10 provides monthly data on production, injection, injection
11 pressure, sale of oil, sale of gas, storage, and one time we
12 got it all.

13 Paragraph (b)(1) requires monitoring of the nature
14 injected fluids at intervals sufficiently frequent to yield
15 data representative of its characteristics. EPA's comment o
16 Page 34277, ~~following Section 122.14(a)(1) indicates that su~~
17 monitoring is not generally required in UIC applications. W
18 concue with EPA's comment in this matter and we feel that th
19 paragraph, in 146, should be corrected by beginning it with
20 the words "where appropriate".

21 Paragraph (c) requires that the owner or operator s
22 be required to identify the types of tests and methods used
23 generate the monitoring data. We feel that this should incl
24 the modifying statement "where appropriate" or "as required
25 the director". In most instances it is obvious to our field

1 personnel what methods are being used and there is no need in
2 just simply duplicating this information.

3 Section 146.25. In paragraph (b) of this section,
4 the second sentence, change the word "show the number or name
5 and location of" to "identify and locate". You are talking
6 about the wells on the map, most of the maps are so darn small
7 that if you try to show all that information on there, the
8 map will be black. The appropriate place for showing this
9 information is on the tabulation, and the map just needs to
10 identify the well as closely so that the two can tie together.

11 Paragraph (c)(3) talks about the chemical analysis of
12 the injected fluid, and we feel like we should also include
13 the analysis of any additives that are going to be included
14 with the injection fluid.

15 Paragraph (f) talks about the applicant showing acqui-
16 fers on the application. By and large, he comes in and asks
17 us where they are, and this means that we would tell him then
18 he would tell us. We certainly agree with the gentlemen from
19 the Texas Water--East Texas Disposal Systems on that, I
20 thought that was an excellent idea, and I'm certainly going to
21 include something like that in our final comments. If the
22 director has the information, the applicant can submit it by
23 reference, and if the director is happy with that he should be
24 allowed to go ahead.

25 Paragraph (n) for consistency needs to have "or

1 required by the director" at the end of the paragraph.

2 Paragraph (p) should be removed from this section
3 entirely. This talks about mechanical integrity prior to
4 permit. That mechanical integrity certainly needs to be shown
5 before injection is permitted but not before the permit.

6 The biggest thing of all, if EPA would accept ongoing
7 proven state programs in lieu of their minimum requirements,
8 we could do this whole thing with minimum expense to the
9 federal government. I know we've had this argument for a
10 long time, but I see no reason why EPA can't go to Congress
11 and say, look now, we could do it this way and it would cost
12 us about half or 1/3 of what we are going to spend otherwise
13 and they'd probably give you guys a medal. And I will answer
14 any questions.

15 (Applause)

16 MR. LEVIN: It sounds like you brought your fan club
17 Questions from the panel. I have one.

18 In discussing the area of review, you indicated that
19 in New Mexico that you don't allow an operator to inject until
20 he makes the correction--

21 MR. STAMETS: I perhaps wasn't thorough on that point.
22 We go a couple of ways. One we say no injection or no injection
23 above hydrostatic pressure until it's fixed. It depends
24 on the problem.

25 MR. LEVIN: Is that applicable to new wells as well

1 as existing wells?

2 MR. STAMETS: Well, at this point I would say that
3 is essentially only applicable to new wells. Anything since
4 1977 or starting in '77.

5 MR. LEVIN: Let me clarify once again. If he already
6 has an injection well operation, do you make him shut down if
7 he is already injecting?

8 MR. STAMETS: No. Now if we find a problem, we might
9 and in one instance, there was one well within the confines
10 of a very heavily drilled and injected area, and the new well
11 was simply replacing an existing well on the same 40 acre
12 tract. A field investigation showed no indication of ground
13 water contamination or any leaks, and also this was in an area
14 where there was essentially no ground water, and we said to
15 heck with it, we'll wait until its program comes out, go ahead.

16 MR. LEVIN: Any other questions from the panel?
17 Thank you very much, Mr. Stamets.

18 MR. STAMETS: Thank you.

19 MR. LEVIN: The next gentlemen is Mr. Hanby followed
20 by Steve Kelley.

21 MR. KEN HANBY: Mr. Chairman, other members of the
22 Environmental Protection Agency, ladies and gentlemen, I am
23 Ken Hanby, Assistant Oil and Gas Supervisor, State Oil and Gas
24 Board, State of Alabama. I do not have a copy of my prepared
25 talk but I will get it to the clerk before the hearing is over,

1 and I will address questions.

2 My comments are directed to the proposed regulation
3 pertaining strongly to salt water disposal wells and injecti
4 wells for enhanced oil or gas recovery.

5 Oil and gas operations in the 30 producing oil and
6 states in this country have been regulated for many years by
7 the various state regulatory agencies. In this respect, Ala
8 bama, has adopted rules and regulations which include specif
9 requirements for permitting of disposal wells and injection
10 wells for enhanced recovery. Although no two states have
11 identical regulations, the purpose of the regulations are th
12 same. With these wells, it is the intention to drill, to
13 complete and to operate in such a manner that the injected
14 fluid will not enter an existing or a potential water supply
15 This is the same purpose that you in EPA have.

16 Our regulatory staff consists of petroleum engineer
17 geologists, hydrologists, civil engineers, and biologists and
18 other technical people who have very important responsibility.
19 We are proud of our efforts and feel a strong responsibility
20 the states which we serve, and to the citizens of those state
21 and to the need to insure that at all times the fresh water
22 resources of our state are protected.

23 The results of the state regulatory efforts speak for
24 themselves. I will not go into the studies there were conduc
25 they have been mentioned previously, and EPA is very familiar

1 with these. These were the studies conducted by underground
2 resource management and Lewis R. Reeder and Associates. I
3 was going to comment and quote from those studies which show
4 that pollution was evident from the oil and gas operations in
5 the states studies.

6 Since EPA's first proposed regulations in 1976, the
7 regulatory agencies in the various states have insisted that
8 their programs work. These studies indicate that that is true.
9 If the proposed EPA program does not result in elimination of
10 pollution or possible pollution, and if it is not occurring
11 it will now eliminate that, then the only result will be
12 increased operating costs in the various states and a contri-
13 bution to the spiraling inflation in this country. EPA has
14 been urged, and by this statement we are urging again that
15 EPA exempt from the EPA regulations, those states which can
16 demonstrate that they have a sound ~~program of administering~~
17 and monitoring injection well programs.

18 I will make a few favorable comments since the original
19 regulations were proposed. They are better, there is more
20 flexibility. Existing wells can be permitted by rules, permits
21 can be issued for the life of the facility, the area of review
22 has been modified.

23 Going specifically to comments on the sections in
24 146.04, it provides that the director shall designate as under-
25 ground sources of drinking water, all aquifers or parts thereof

1 which currently serve as sources of drinking water or which
2 contain fewer than 10,000 milligrams per liter of total di-
3 solved solids. However, and I will comment on 122 at this
4 point because I think it is pertinent, it says the director
5 shall identify all aquifers or parts of aquifers which are n
6 underground sources of drinking water in accordance with the
7 criteria contained in 146.04; and then further states that a
8 aquifers not so identified shall be designated underground
9 sources of drinking water.

10 This last section approaches the designation of
11 underground drinking water sources in the reverse direction
12 then 146 does. Although it says it is done in accordance
13 with 146. The method in 122 appears to be an unworkable met
14 as it approaches the designation of underground drinking sou
15 by defining first all aquifers that are not underground drin
16 ing water sources. In areas of states where very little sub
17 surface information is available this would be practically
18 impossible. If it was found that in these areas, aquifers w
19 not underground drinking water sources that had previously h
20 been designated because of lack of information, then the sta
21 program would have to go through the lengthy amending proced
22 before an oil and gas operator could get approval for an
23 injection well.

24 Under Section 146.22(d) minimum requirements for lo
25 and other tests are given. These requirements are rigid and

1 parts illogical and do not provide the states with any flexi-
2 bility. First of all the requirement for directional surveys
3 to be conducted on all holes to assure that vertical avenues
4 for fluid migration in the form of diverging holes are not
5 created. I assume EPA is intending for diverging holes to be
6 the original bore hole that has been abandoned and the well
7 has been sidetracked. Due to the normal reason for sidetrack-
8 ing, that being junk in the hole, it would not be practical
9 nor engineeringly sound to attempt running directional survey-
10 ing equipment in the area of a hole where junk has been lost.

11 If this is the intention, it appears that this discre-
12 tion in judgment should be left with the director of the state
13 program who could require that the entire junked part of the
14 hole be cemented if it was necessary, to prevent possible escape
15 of any injected fluids into fresh water aquifers; not by re-
16 quiring a directional survey.

17 Further, under this section, specific logs or curves
18 are required for surface hole and any completed hole. The
19 intention of these regulations is, I am sure, to insure that
20 injections are done in such manner that none of the injected
21 fluids can enter an underground source of drinking water. State
22 regulatory agencies have the same objective, and Alabama has
23 required specific well construction standards, and monitoring
24 procedures for injection wells for years. We are not stating
25 that we are opposed to having the information derived from such

1 logs if it is necessary. However, we do oppose these condit
2 whereby no flexibility is given to the state director in mak
3 these judgments.

4 Seventy-five percent of the permitted salt water
5 disposal wells or existing wells have been from conversion o
6 either abandoned producers or dry holes. Ninety-seven perce
7 of the converted secondary recovery wells are from conversio
8 of existing abandoned producers. With the inflexibility tha
9 these minimum requirements carry, unless an existing well ha
10 been logged in such fashion to conform to the minimum requir
11 ments any use of these wells for injection purposes would be
12 prohibited. These wells have been drilled, the casing
13 has been set and cemented, the logs have been run and many o
14 these wells were drilled years ago when logging techniques a
15 available tools are not what they are today.

16 The construction of these wells, and their operatio
17 has been approved by the State Oil and Gas Board in Alabama
18 to assure that underground sources of drinking water are pro
19 tected. With deep wells which have been drilled to 12,000 o
20 greater surface casing has been set at 3,000 and 6,000 feet.
21 In many cases no logs were run on the surface hole; however,
22 there are many shallow wells in the area upon which ES and S
23 logs have been run and these are available for the director
24 the state program to determine the depth of the fresh water
25 resources that must be protected. This is once again the ar

1 where flexibility is needed. It should be left up to the state
2 director to determine if sufficient evidence is available to
3 determine the depth of fresh water, and if the existing well
4 that could be converted to an injection well is properly
5 constructed to prevent the migration of fluids into the fresh
6 water zone. If the operator was attempting to convert a well
7 to an injection well and sufficient information including logs
8 is not available, we would require this information before we
9 would consider issuing a permit.

10 There are a number of oil fields in Alabama which
11 would be prematurely abandoned if it became impossible to con-
12 vert dry holes or abandoned producers to salt water disposal
13 wells because of a lack of the minimum required laws.

14 The required compliance schedules may be logical re-
15 quirements in construction of a plant or hazardous waste facility.
16 But as we see it, it only complicates and adds additional paper
17 work in permitting Class II wells.

18 I know we have time limits and I am about out of time
19 and I possibly would have additional comments today on Part
20 146 except that I just received Parts 122, 23, and 24 last
21 Monday and these parts are extremely complex and confusing and
22 are totally interrelated.

23 We appreciate EPA's extension of the comment period
24 on part 146 and as Mr. Stamets said earlier, we would urgently
25 request the comment period on all 4 of these items be extended

1 at least until October 15th.

2 Finally, to reiterate our main comment, we urgently
3 request EPA to seriously consider waiving the requirements p
4 posed in the regulations for states who can demonstrate to
5 EPA that our programs are adequate in terms of compliance wi
6 general regulations. Further, if EPA proceeds and fails to
7 allow a state to administer its own program, if deemed adequ
8 needless waster of energy, money, time and paper work will
9 occur. And if the rules remain inflexibility, unnecessary w
10 will be drilled and production of oil and gas in this country
11 reduced. And to the member of EPA, you are a part of Washin
12 ton, and the government that President Carter was talking abo
13 last night, we have been and are still trying to reach you.
14 Thank you.

15 MR. LEVIN: Mr. Baltay?

16 MR. BALTAY: I have one point of clarification and
17 a question.

18 Your puzzlement on the way we chose to say designate
19 source of underground drinking water, that was motivated by
20 the finding that to make the state go through and map all the
21 aquifers or the base of the 10,000 zone or whatever, would be
22 inordinately expensive and therefore, we chose to do it the
23 other way seeing that there is a general presumption on prote
24 ing acceptance specific cases where the director chooses not
25 designate portion of an aquifer, is that really an unworkab.

1 system? Doesn't that, in fact, save you time and effort to
2 have to specify in detail the ones you will not protect?

3 MR. HANBY: I think it would be easier since public
4 record in most states have the record where zones are producing
5 water into the different counties. There are in public record
6 the depth of the well, the aquifers have been identified by
7 the geological survey. To go in and define all of the zones
8 that are not underground sources would require to move into
9 areas in cases where there are mainly municipal supplies.
10 There is not evidence on enough wells in the area to differen-
11 tiate that these are not underground sources. If you say, these
12 are not underground sources which, in turn, says everything
13 else is underground drinking sources, then when you move into
14 these areas then you have to mend your state program. You may
15 find that you included some areas that are not underground
16 drinking sources.

17 MR. BALTAY: But then if you use the information you
18 have available to you now, you would not propose not to
19 designate certain areas. How would you generate the detail to
20 say this portion is exempted from protection.

21 MR. HANBY: We have the information in each of the
22 counties and the aquifers that are currently producing water
23 in the state are all known. We feel like this would be a
24 much easier method to approach it, then by going the other
25 way and designating everything that's not.

1 MR. BALTAY: My other question, your major comment
2 on waiving state requirements would seem to imply some sort of
3 process whereby EPA or the administrator would have to make a
4 judgment or a determination of what state acts we could waive
5 or state why we will not waive. What is your thinking on the
6 type of process? What can EPA do, what extent would EPA get
7 into the state's system and files to get the information to
8 make the kind of judgment?

9 MR. HANBY: We have just had a recent effort in this
10 manner and I will expand on those. With the Natural Gas Policy
11 Act passing FERC was required to certify gas wells but it could
12 pass on to the states if they supplied their method of certifying
13 of gas wells. FERC proposed a set and adopted a set of
14 general guidelines where they emphasized the lack of disruption
15 of state programs whereby the state, using their own procedures
16 and their own method of gathering data, designing their own
17 forms to present in a narrative form, not 2,500 pages long, but
18 ours was something like 15 legal pages; we could outline our
19 program, what information we have in our files, how we generate
20 how a person could make an application according to the state
21 wide rules, and our notice hearings. Then how we would use that
22 information to make our judgment. This has been done with
23 minimal impact on the states, we have taken this responsibility
24 I will point out that FERC has no money for us to do it, we took
25 this on ourselves because we felt like in doing so it was a

1 critical point in the industry and failure to do this would
2 mean that FERC would certify it, and they may not get around
3 to it.

4 MR. BALTAY: Do you, for example, foresee any actual
5 field work by EPA to assess the effectiveness of this thing?

6 MR. HANBY: We have, for example, on every disposal
7 well you must supply us with information including logs, identify
8 ing the fresh water zone, your casing program, your cementing
9 program. You must show logs of the proposed injection zone,
10 if you use a nearby well, of course, before you drill a well
11 you don't have a log on that well unless it's a converted well
12 and then we have the logs available when the well was originally
13 drilled. The aquifuge must be identified and then in a public
14 hearing we would respond to that.

15 MR. LEVIN: A follow-up question similarly related to
16 that, would you be receptive to an EPA team going into your
17 state and doing a survey of your state programs?

18 MR. HANBY: Yes, sir. We would encourage you to
19 actually do that. We have supplied our rules and regulations,
20 we have monitoring requirements, monthly monitoring requirements
21 As New Mexico has, the operator must supply us with production,
22 salt water production, injection, annulus pressure reporting,
23 volume injected, the zone it is injected to, the depth. We
24 have monitor wells in the fields, in Alabama and oil and gas
25 producing states these are mainly water supply wells that was

1 were drilled during the drilling of the wells originally.
2 We have agents that are in the field that monitor annulus
3 pressure, every well is monitored only once a month and more
4 then likely 2 or 3 times a month he goes by, the injection
5 gage is on the well and we carry one with us.

6 MR. LEVIN: Thank you, I think you have answered the
7 question. Are there any other questions from members of the
8 panel? Mr. Knudson?

9 MR. KNUDSON: Would you see it acceptable for if the
10 EPA approved your system, then EPA would then have those rules
11 and regulations would become federal rules and regulations
12 enforceable in Federal Court also? Would you see that as an
13 option?

14 MR. HANBY: Let me see if I understand that. If EPA
15 allowed us to set up and continue our own program, would we
16 expect then that EPA could enforce our regulations in Federal
17 Court.

18 MR. KNUDSON: Right.

19 MR. HANBY: If legally they can do it, I don't see
20 any problem with it. We can enforce them in the State of
21 Alabama.

22 MR. KNUDSON: We do this in the air program where we
23 accept what the state rules and regulations are, then they be-
24 come Federal rules.

25 MR. BALTA: Expound the ground rules for the state

1 program.

2 MR. HANBY: That's good.

3 MR. BALTAY: You would feel comfortable with some level
4 of EPA on site look at the program and then in fact say we feel
5 that this is effective.

6 MR. HANBY: Yes, sir, we've been saying it for 4 years
7 and we would encourage it.

8 MR. BALTAY: We'll be up there.

9 MR. LEVIN: Okay, thank you very much. The next
10 gentlemen is Mr. Steve Kelly

11 MR. STEVE KELLY: I am Steve Kelly, Executive Director
12 of the Oklahoma Independent Petroleum Association. OIPA is an
13 association comprised of more than 1,050 members concerned with
14 and working toward the betterment of the Oil and gas industry
15 in Oklahoma. It's members include individuals and corporations
16 engaged in all aspects of the independent petroleum industry
17 within our state. Members of OIPA are vitally concerned with
18 proposed federal underground injection control program which
19 is being discussed here today.

20 OIPA is encouraged by the many changes the EPA has
21 made and proposed technical standards for underground injection
22 operations over those originally proposed in August of 1976.

23 Nevertheless, we believe the Agency has failed to
24 answer the single most important question underlining the pro-
25 posed UIC program as it relates to oil and gas operations.

1 Why is the federal program necessary in producing
2 states with adequate injection programs already in place and
3 operational. Production of crude oil and natural gas in Okl
4 homa dates back over 80 years. Presently, Oklahoma is produ
5 approximately 400,000 barrels of crude oil daily from 74,000
6 wells with approximately salt water production of 1,600,000
7 barrels.

8 For a number of years, oil field injection and disp
9 operations have been under close scrutiny and control of the
10 Oklahoma Corporation Commission. The OCC will be testifying
11 at your hearings in Washington.

12 The effectiveness of this program in safeguarding t
13 state's underground drinking water sources is supported in t
14 study which has been mentioned previously here today. The
15 Federal UIC program assumes the oil and gas production indus
16 ~~utilizes faulty or at least less than optimal engineering~~
17 practices. Strict OCC rules and regulations in Oklahoma str
18 refutes such an assumption.

19 Furthermore, poor engineering or bad operating tech
20 could lead to loss production, which no producer can afford.
21 While the OIPA will leave detailed comment of the specific
22 Part 146 to later written submission, we would nevertheless
23 to comment on a few of the requirements, we believe are
24 especially onerous.

25 First of all, the numerous logs and tests that are

1 required before setting surface casing will be of little
2 practical benefit while adding unnecessarily to the cost of
3 production.

4 Second, the satisfactory showing of mechanical integrity
5 must be made every 5 years. Given the hundreds of wells that
6 will have to meet this requirement and the associated paper
7 work burden, it seems more prudent to require evidence of
8 mechanical integrity only when the facts suggest there may be
9 a problem present. Furthermore, the OIPA submits financial
10 responsibility provision are accepted.

11 Oklahoma rules current specify that operators have
12 \$10,000 surety on file to cover plugging of oil, gas and in-
13 jection wells. We do not believe the additional requirement
14 of a performance bond is necessary or useful.

15 Finally, the OIPA would like to address EPA's cost
16 versus loss to oil and gas production figures. Perhaps, more
17 disturbing than the actual figures themselves, is the Agency's
18 apparent attitude that the cost while running several hundred
19 million dollars for the entire industry are "actually small
20 relative to the economic potential of the oil and gas industry".

21 Most of OIPA's members are very small business oper-
22 ations, many consisting of only the producer himself. Many of
23 our members operate marginally economic oil and gas wells.
24 The addition of even minimal operating cost could force many of
25 these wells to be shut down prematurely.

1 The independent producer also plays a significant
2 role in looking for and developing new supplies in domestic
3 oil and gas. A venture that is becoming increasingly expensive.
4 Cash flow is a significant concern to my membership.

5 Government programs whether they are state or federal
6 they add to the paper work endurance contest and the cost of
7 exploration and production activities have a very significant
8 impact on the small producer. Increase cost of production as a
9 result of this program in turn, will impact negatively on
10 the development of our energy reserves.

11 In closing, let me state on behalf of the OIPA that
12 we share the EPA's priority in protecting underground sources
13 of drinking water. After all, most of OIPA's members live in
14 communities that have oil field injection and disposal operations
15 nearby. Nevertheless, we believe that our state currently has
16 adequate rules to assure our drinking water sources will be
17 protected. We do not believe the regulations recently proposed
18 by EPA would contribute any additional environmental protection
19 but would have a significant adverse impact on our continued
20 ability to produce and meet the domestic petroleum supplies.

21 In light of these comments, we must again ask the
22 question, why is a federal program necessary in producing states
23 with adequate injection programs already in place and operating
24 al? Thank you.

25 MR. LEVIN: Mr. Baltay?

1 MR. BALTAY: I have several questions. With regard
2 to mechanical integrity, there was a specific comment in the
3 preamble which said that we had thought about sampling techniques
4 rather than the universal mechanical integrity. Do you have a
5 any help for us there? Do you see any possibility for using
6 their requirement in that direction?

7 MR. KELLY: We would like to--we will be addressing
8 that in our technical comments which we will be submitting..

9 MR. BALTAY: Ok. Two points of clarification, I've
10 heard the performance bond mentioned several times and I
11 think you are aware that the statement is that some kind of
12 financial responsibility, bond is one possible form of that but
13 nothing in the regulations require a bond per se. There is a
14 variety of ways in which that financial responsibility can be
15 demonstrated.

16 The other point that I wanted to mention very quickly,
17 is the IOCC study which EPA has reviewed. Our general conclu-
18 sion is that the IOCC report wasn't as helpful as we had hoped
19 it would be in establishing whether or not there is indeed
20 contamination related to oil and gas production. The central
21 problem is that you've got a large universe of wells out of
22 which a relatively small fraction is polluting, and the method-
23 ology used by URN did not have the power to reveal that kind
24 of marginal statistical problem. So the fundamental conclusion
25 about the IOCC's study, in our opinion, has got to be that it

1 really doesn't demonstrate either way. The statistical metho
2 dology just wasn't powerful enough to show the kind of proble
3 that we think we've got.

4 MR. LEVIN: May I add something to that? However,
5 what the IOCC study did do was stimulate us to do additional
6 work, which has already begun and will continue during the
7 comment period.

8 MR. SCHNAPF: I'm David Schnapf with the enforcement
9 group at EPA. On this bond thing, I want to make one point
10 clear and I think it raises another point that needs to be
11 made.

12 A lot of you have mentioned that the states program
13 already requires a bond and that the additional federal bond
14 would be superfluous. I think it is our understanding that
15 the state bonds would fulfill the requirement of these regu-
16 lations, and that you wouldn't need to post more than one bo
17 I think that goes to a broader issue which is, we're hoping
18 that these existing state programs will, in fact, implement
19 these provisions and that there will not be more than one
20 program in the state. We certainly hope that that would be
21 the case; and we certainly would not like to disrupt those
22 existing state programs.

23 MR. KELLY: What would you propose to do in the case
24 of the Osage Nation in Oklahoma, for instance, where you don
25 want to have two programs? The State Corporation Commission

1 no authority over the Osage Indian land.

2 MR. SCHNAPF: In that case, we would probably get a
3 program just for those Indian lands. The rest of the state,
4 if they assume primacy, the rest of the state would be regulated
5 under the state's program. Now what would be particularly
6 helpful in your comments, and in all the comments we receive,
7 is to tell us how the existing state program differs from the
8 federal program; and what obstacles arise from your assuming
9 primacy. Because once the state has assumed primacy, all
10 injection operators have to comply with are the state rules
11 and regulations.

12 MR. LEVIN: We are getting a little bit into Part
13 123 of tomorrow, which will discuss the requirements for an
14 acceptable state program.

15 Thank you, Mr. Kelly.

16 ~~Before we break for lunch, the hotel has asked me to~~
17 mention to you that if you're eating here, and you order from
18 the menu service would be rather slow. They do have a buffet
19 which they recommend for \$6.00. This is not an endorsement,
20 I'm just being a messenger in this case.

21 This hearing is adjourned until 1:30. Thank you.

22 (Adjourned for lunch)

23 MR. LEVIN: I call the hearing to order, please.

24 We are ready for the afternoon session. We're going
25 to give you folks a break this afternoon. I'm not going to go

1 over the rules once again. You'll just have to remember wha
2 I said this morning. (Applause) That's probably the fi
3 applause I've gotten in 3 years.

4 We have had our first switch of the afternoon.
5 Mr. Mulligan and Mr. John Soule have switched so, therefore,
6 our next speaker is Mr. John Soule, Chief Legal Counsel for
7 the Texas Railroad Commission.

8 JOHN G. SOULE: Mr. Chairman, and members of the pa
9 My name is John Soule, I am Chief Legal Counsel for the Oil
10 and Gas Division of the Railroad Commission of Texas. The
11 Commissioners have asked that I appear here today and presen
12 comments of the Railroad Commission of Texas with regard to
13 the proposed UIC regulations.

14 The Commission has sole responsibility for the pre-
15 vention of pollution which might result from activities
16 associated with the exploration, development, and production
17 oil, gas, and geothermal resources in Texas. The Commission
18 duties include responsibility for preventing pollution of su
19 face and subsurface waters in the state. Texas has had an
20 effective underground injection control program for more tha
21 50 years.

22 Orders regulating underground injection were issued
23 by the Railroad Commission as early as 1928. Those early ord
24 contained casing and well completion requirements in order to
25 protect fresh water sands and further made specific provision

1 that the injected fluids must enter no other formation. Thus,
2 the Railroad Commission of Texas was concerned with the regu-
3 lation of injection wells to ensure the protection of fresh
4 water for almost a half century before the U.S. Government or
5 any of its representative conceived of the Safe Drinking Water
6 Act.

7 Almost 700,000 wells have been drilled in Texas in the
8 search for oil and gas to supply a fuel-starved nation. More
9 than 200,000 oil and gas wells are now in production. More
10 than 41,000 wells in Texas are being used for underground in-
11 jection in connection with the production of oil and gas.

12 Over the years, there have been very few cases of a
13 alleged contamination, possibly due to oil field operations.
14 In fact, records of the Texas Department of Health show only
15 two cases of alleged contamination over the past 2 years.
16 The Railroad Commission routinely investigates complaints of
17 this nature under its statutory mandate to prevent waste and
18 pollution in connection with the production of oil and gas.
19 When violations are confirmed, immediate remedial action is
20 prescribed. Our experience indicates that eliminating the
21 source generally eliminates the contamination itself.

22 The Safe Drinking Water Act, passed by a majority of
23 the U.S. Congress and signed by the President, requires the
24 Environmental Protection Agency to promulgate regulations for
25 state UIC programs. Those regulations are to contain minimum

1 and I stress the word minimum, requirements for the protecti
2 of drinking water sources. Protection of drinking water sou
3 requires that underground injection not contaminate undergro
4 water which supplies or can reasonably be expected to supply
5 a public water system. The Act further provides that these
6 regulations may not interfere with oil and gas production,
7 unless necessary to protect underground sources of drinking
8 water, and may not unnecessarily disrupt existing state
9 programs.

10 The regulations proposed by EPA are unreasonable.
11 adopted as proposed, the regulations would substantially imp
12 the production of oil and gas. They would unnecessarily dis
13 a successful and effective UIC program which has been in effe
14 in Texas for more than 50 years. Adoption of these rules wo
15 create a severe economic burden on the American consumer. Th
16 rules would accelerate the current decline in oil and gas
17 production in the United States at a time of approaching econ
18 disaster.

19 The proposed regulations do not provide minimum stan
20 ards for the protection of drinking water. They impose an
21 unnecessary, unreasonable, and extremely onerous burden on th
22 producers of oil and gas, the ultimate consumer, already bes
23 by double digit inflation, and the state agencies charged wit
24 the responsibility of regulation. This burden is being impos
25 at a critical time in our history, when a shortage of oil and

1 gas threatens our very existence as an advanced industrial
2 nation. When the regulations proposed by agencies of the
3 federal government should be striking a reasonable balance
4 between the protection of our environment and increased production
5 of our available energy resources, the EPA proposes to disman-
6 an effective and long-lived UIC program in Texas, and substitute
7 for it a program of needless and costly overregulation.

8 The Railroad Commission will submit detailed written
9 technical comments prior to the September, 1979, deadline.
10 However, by way of further explanation, the following examples
11 of unnecessary and burdensome regulations are provided.

12 The completion of directional surveys on all injection
13 wells, as required by the proposed regulations, is unnecessary
14 to ensure protection of drinking water sources.

15 Electrical log requirements are more onerous than they
16 need to be to insure protection of drinking water sources.

17 Fracture finding logs are costly and not sufficiently reliable
18 to justify their being run and submitted for all injection
19 wells.

20 Determination of physical and chemical characteristics
21 of formation fluids is not necessary to protect fresh water
22 sands.

23 The EPA has earlier agreed that the existing Texas
24 program for control of underground injection meets the require-
25 ments of the Safe Drinking Water Act. Yet, with these proposed

1 regulations, making provision for "minimum" requirements,
2 the EPA would require the Texas program to be altered dras-
3 tically, increasing the cost in both time and money, without
4 providing any greater protection for our sources of drinking
5 water.

6 The Railroad Commission of Texas already requires
7 protection of fresh water sands in connection with undergrou
8 injection related to oil, gas, and geothermal activities. T
9 EPA has gone well beyond the mandate provided by Congress in
10 the Act.

11 These proposed regulations represent yet another la
12 of expense to be borne by the ultimate consumer. Gas lines
13 will be longer. The cost of gas at the pump will increase
14 further, as will the cost of home heating oil. These regula
15 tions are ill-conceived and ignore the Congressional mandate
16 not to impede the production of oil and gas ~~or to disrupt~~
17 existing state underground injection programs.

18 There are sensible ways our environmental regulatio
19 can be adjusted to take into account our energy needs. Now
20 the time to restore balance to our national priorities. The
21 proposed regulations should be further revised to insure con
22 sistency with both our energy and environment needs. The
23 Railroad Commission of Texas has written a rulebook for a
24 successful UIC program. EPA would do well to follow the Tex
25 lead.

1 Mr. Chairman, I will be happy to answer any questions

2 MR. LEVIN: Are there any questions? Mr. Baltay?

3 MR. BALTAY: Did I hear you make reference that EPA
4 has made some kind of finding of definitive statement about
5 the Texas program?

6 MR. SOULE: Mr. Baltay, we do have a letter from the
7 then administrator of the EPA, indicating at the time the Safe
8 Drinking Water Act was being considered by Congress, that he
9 was satisfied that the existing program in Texas did satisfy
10 the requirements of the Safe Drinking Water Act. I understand
11 that that is probably not a binding opinion of the Agency, but
12 that had been expressed to the members of Congress at the time
13 the Safe Drinking Water Act was enacted.

14 MR. BALTAY: You are referring to the Pickles/Trane
15 exchange of letters, I think the administrator was fairly care-
16 ful to say that as far as he knew, and that it seemed, and et
17 cetera..

18 MR. SOULE: I've been involved in writing letters like
19 that.

20 MR. LEVIN: I have a few questions. You said you
21 would submit specific comments for the record later on, so
22 if you don't wish to address to this today that is perfectly
23 fine. Can you be more specific where you can tell us where the
24 proposed 146 regulations differ from the Texas regulations,
25 and in what way?

1 MR. SOULE: I'd have some difficulty in being very
2 specific. I am a relative newcomer, and as George Singletar
3 said several times to me today, I am the mouthpiece here tod

4 I would suggest those items which I outlined genera
5 with respect to logging requirements and things like that, a
6 the areas which I had reference to. I would prefer to reser
7 until our written comments those specifics, and we do have
8 under way specific analysis. But I am assured by our techni
9 staff there would be a significant change in the program tha
10 Texas now operates.

11 MR. LEVIN: That is perfectly fine, we will await y
12 written comments. Are there any other questions from the pa
13 Thank you very much.

14 I forgot to mention that our next speaker was to be
15 Babette Higgins. She is Vice-President of Texas Environment
16 Coalition. I understand Ms Higgins has a virus and won't be
17 able to be here or at least there is some chance that she mi
18 not; so, therefore, I will not scratch her at the moment, an
19 we will come back to Ms. Higgins later on.

20 We will move to Mr. Harrold E. Wright, Chairman of
21 the National Energy Policy Committee, Texas Independent Pro-
22 ducers and Royalty Owners Association, to be followed by
23 Ralph A. Dumas.

24 HARROLD E. WRIGHT: Mr. Chairman and members of the
25 panel: My name is Harrold E. Wright, and I am an independen

1 petroleum producer from Dallas. I'm also a petroleum engineer
2 and Vice-President of San Juan Exploration Company that does
3 business primarily in the East Texas area.

4 I'm here today as Chairman of the National Energy
5 Policy Committee of the Texas Independent Producers and Royalty
6 Owners Association. TIPRO is composed of 4,000 members who
7 have an interest in Texas petroleum production.

8 On behalf of TIPRO, I commend the EPA for its revisions
9 making more realistic the proposed Federal regulation of
10 1976 intended to promulgate the Safe Water Drinking Act passed
11 by Congress. Without these revisions, there is little doubt
12 that a large portion of domestic crude oil production dependent
13 upon underground injection would have become uneconomic, and
14 millions of barrels of reserves would have been lost forever.

15 Nevertheless, our Association still believes that the
16 revised regulations relating to Class II wells, which include
17 injection wells utilized for enhanced recovery purposes, remain
18 too stringent and unnecessarily duplicate existing regulation,
19 particularly in states such as Texas, which have developed
20 strong anti-pollution requirements over the past 15 years.

21 EPA has estimated that its revised regulations would
22 cost the petroleum producing industry little more than one-half
23 billion dollars annually and would jeopardize only some 12,000
24 barrels of oil production daily. TIPRO contends these state-
25 ments are much too modest and tend to mask the fact that un-

1 necessary environmental protection requirements can result in
2 extremely costly burdens for the small producer. There is no
3 way to estimate how many current and prospective secondary
4 recovery projects would be eliminated by the EPA requirement
5 still before us concerning injection wells.

6 There remain several valid suggestions for change in
7 EPA's proposed regulations. These will be covered fully in
8 written testimony by the IPAA next month, which will be endorsed
9 by TIPRO at that time. And, also, I would like to acknowledge
10 today that we are certainly in a position to endorse
11 the testimony of Mr. Dillard who represents a number of close
12 association of TIPRO, and we would certainly recognize the very
13 fine work that Mr. Herman Engel has done with the East Texas
14 Salt Water Supply group in handling, for many years, the
15 largest known oil field in the United States under some rather
16 trying conditions with reinjection of water.

17 TIPRO finds it unreasonable to require expensive
18 directional surveys as proposed in Section 146.22. Since the
19 number of these, Mr. Chairman, have already been covered, I'm
20 just going to mention them and then we will go on. I don't
21 like I should take a great deal of time.

22 MR. LEVIN: The Chair appreciates that.

23 MR. WRIGHT: The logging problem we talked about is
24 perhaps worn out to some degree under Part 146.22(d)(2) and
25 where they require electric logs reading spontaneous potential

1 and caliper logs, cement evaluation logs, gamma ray neutron
2 logs, and the like, we think for the most part are excess re-
3 quirements that really do not serve the purpose that they are
4 intended.

5 In addition, there is one other requirement of 146.22
6 (e)(6) where there is a requirement to determine whether the
7 injected fluids are compatible with the fluids that now exist
8 in the receiving formation. We feel like that is rather un-
9 necessary if we know that the fluids are not safe drinking
10 water fluids that need to be protected in the first place.

11 I believe that's going to cover most of the problems
12 we had, and in conclusion we strongly urge EPA to make further
13 revisions in the proposed regulations that will eliminate un-
14 necessary, costly and duplicatory requirements which threaten
15 existing and prospective secondary recovery operations in the
16 field. The State of Texas has already shown that maximization
17 of oil reserve recovery can be conducted under reasonable rules
18 protecting fresh water supplies which, at the same time, pre-
19 serve sound economics for the oil producer.

20 We think that our State of Texas has done an excellent
21 job through our Railroad Commission over the past 35 years, and
22 most particularly in the last 10 years in protecting our fresh
23 water. We believe we have a workable system in this State and
24 certainly we would like to commend our Railroad Commission for
25 the work they have done. We feel like it would certainly be

1 in order for the EPA to adopt our system to the degree that
2 they can as now carried out by the Railroad Commission.

3 Thank you for this opportunity to be heard.

4 MR. LEVIN: Thank you, Mr. Wright. Will you answer
5 questions?

6 MR. WRIGHT: Yes, sir.

7 MR. LEVIN: Any questions from the members of the
8 panel? I have one.

9 Your statement addresses our comment on the possibi
10 of exempting small producers from the regulations, we specif
11 ally requested a comment on that. Do you have any thoughts
12 about how such an exemption might be formulated?

13 MR. WRIGHT. Well, I suppose as many ways as that
14 could be formulated, small exemptions have been made on the
15 basis of production of an individual operator under other
16 circumstances. The small producer set-up, as you recall bef
17 the FBC set a minimum amount of gas, I think we have had
18 legislation that considers the number of barrels of oil;
19 possibly could consider growth dollars, there are many ways
20 to do it. Probably on the amount of oil, I would suppose we
21 be the more logical approach.

22 MR. LEVIN: Do you have any particular cut-off in
23 mind?

24 MR. WRIGHT: No, sir.

25 MR. LEVIN: Thank you. Mr. Schnapf?

1 MR. SCHNAPF: Yes, this is a follow-up question,
2 and I'd advise you to ask it of the former speaker. Does the
3 Texas Railroad Commission have any exemption for small
4 operators or do you know?

5 MR. WRIGHT: No, sir, I do not believe there are any
6 exemptions. I think all the rules are applied to everyone
7 uniformly and the same.

8 MR. SCHNAPF: Ok.

9 MR. LEVIN: Thank you very much, Mr. Wright.
10 The next speaker is Mr. Dumas, I think I pronounced that right
11 on the third try, followed by Mr. James Greco.

12 RALPH A. DUMAS: I appreciate the opportunity to
13 come up here, I might even say that since I've been Director
14 of Oil and Gas Producers (inaudible).

15 I won't bore you with a lot of repetition here, I
16 would like to say a number of items here pinpointed to point
17 out but it's been gone over by a number of the other speakers,
18 Mr. Dillard really came down on it. In fact, I think I could
19 endorse most of the statements made here today. I won't
20 endorse the man from Dupont too closely, I notice he got an
21 invitation to come back before you people, his must have been
22 a little bit too lenient there.

23 But rather than bore you with the various items that
24 I do have notes on that have been touched on, we will submit
25 some written statements at a later date. I'd like to refine

1 some of those and maybe bear down on a little bit more than
2 what I have.

3 We would like to read into the record this little
4 summary that I have that I think really expresses the opinion
5 of the members of my Oil and Gas Commission and the staff of
6 the Oil and Gas Commission.

7 We feel to impose the proposed UIC regulations on
8 the states that already have programs that have been in effect
9 several years, and have proven that they are effective by not
10 having any contamination from the injection wells would be a
11 complete waste.

12 Our oil and gas statutes, setting up the Oil and Gas
13 Commission, which is Act 105, 1939 of the Arkansas General
14 Assembly requires that the Oil and Gas Commission prevent was
15 To put burdensome, costly, time consuming UIC regulations pro
16 posed by EPA into effect, would be creating waste and would b
17 in violation of the Act that puts us into the operation of co
18 serving oil and gas in the State of Arkansas.

19 The current regulations we have are effective in pro
20 tecting the drinking water sources within the state without a
21 cost to the operators and the regulatory agencies. We have
22 denied or have no intention of applying for a grant to help u
23 support this. We've had visits with our operators in the Sta
24 and they would rather pay more taxes to have us avoid even ge
25 involved in a grant program, then to have us go through the

1 burden of all the bookkeeping and everything that would go
2 along with satisfying accounting and everything that we'd have
3 to do to justify receiving the grants.

4 We don't believe there would be a thing to be gained
5 by imposing the new regulations proposed by UIC. We are
6 already protecting our fresh water in the state and we will
7 continue to do so. So to put these regulations in effect would
8 only put a burden on our operators that we feel is unduly
9 necessary. We'd much rather see them spend the money that they
10 will have to lay out to apply for these--to comply with these
11 burdensome regulations.

12 Our independents make up most of the operators in the
13 state with very few majors, and they would have to go to a
14 consultant, in most cases, to get people to even make an
15 application that could be considered by the Oil and Gas
16 Commission under the UIC regulations.

17 We have a 2 page advocacy right now, if you'll take
18 10 days to process and I think our record will stand on its own.
19 We do not have any contamination of fresh water by injection
20 systems at all. So, in spite of Mr. Baltay's comments that the
21 study of the IOCC didn't prove to them that there were effective
22 systems in operation.

23 At any rate, we would like to continue to operate under
24 our current system, which has proven to be effective for some
25 35 to 40 years, at a very minimum cost, and if we can continue

1 under that operation, we can see that we need to make some
2 minor adjustments and we intend to do so. But we believe th
3 our over-all system will be effective, and we do not see the
4 need for imposing the new UIC regulations on the operators a
5 the state itself. We are already achieving the goal of pro-
6 tecting the fresh water, so what the heck, what could we do?

7 We ask that you consider fully some method of appro
8 ing the state systems that are in effect. We are open to
9 suggestions where we might make improvement, we intend to
10 improve, and we intend to enforce them and we intend to drin
11 go fresh drinking water for a long, long time. We will be
12 drinking good water a long time before we get down to that
13 10,000 ppm that you want us to protect without fear that we
14 need to go that far.

15 With those few comments, I would ask that it be
16 considered by the EPA to allow the State of Arkansas to
17 continue on its own method of regulation at the present.
18 I'll be glad to answer any questions.

19 MR. LEVIN: Are there any questions? Mr. Schanapf,
20 I think I saw your hand first.

21 MR. SCHNAPF: I'd like to ask the same question I
22 asked the previous gentlemen. Does the State of Arkansas ha
23 any exemption for the small operators?

24 MR. DUMAS: No, we do not.

25 MR. SCHNAPF: And I just wanted to ask if the basic

1 mechanism that the state uses for controlling these injection
2 wells, is it through a permit system, approval by rule, order,
3 how's that done?

4 MR. DUMAS: We have a permit system, yes. And we
5 have rules and regulations outlining what they must do to apply
6 for a disposal well, or an injection well connected with
7 enhanced recovery operation.

8 MR. SCHNAPF: Thank you.

9 MR. LEVIN: Mr. Baltay?

10 MR. BALTAY: I wonder if I could draw you out a little
11 bit more in terms of specifics on your basic point. If I hear
12 you correctly, you're saying the UIC regs would add nothing
13 to the process, and that they would be much more costly and
14 burdensome. I'm wondering if I could draw you out for some
15 specific examples.

16 MR. DUMAS: Well, by the increase in cost, we have an
17 ongoing program. To put your program into effect, we would
18 have to hire additional staff, and go into a whole lot more
19 detailed bookkeeping, record keeping and so forth. You are
20 requiring bulky applications which will take considerable time
21 on our part, and the time and the cost to the operators to put
22 these applications to us. To process them and everything, and
23 everybody involved, heck we could drill a million oil well look-
24 ing for badly needed crew with the money that would be wasted
25 in this manner.

1 We still feel that we are protecting the water, what
2 more can we do?

3 MR. LEVIN: Ok. I have a few questions. Again, not
4 to pin you down this afternoon, we realize there may have been
5 a short time for review of the regulations, but can you
6 specifically state either today or in the future, just what
7 parts of the regulations you find as onerous burdensome that
8 going to increase your work load that's going to cause you to
9 hire additional personnel?

10 MR. DUMAS: The over-all program, of course, is going
11 to take a lot of personnel to go through the processing and the
12 multitude of papers that will be required to be filed. We
13 realize that you people have given us quite a bit of relief by
14 giving the director the right to judge whether or not he needs
15 additional information filed, and gave us considerable relief
16 there. We've been used to handling a 2 page applications compared
17 to what you're going to get under the UIC program, it's
18 going to take quite a few extra people to go through that mountain
19 of paper. Probably have to hire a new janitor to dispose of
20 some of it.

21 MR. LEVIN: As long as you dispose of it safely. I
22 don't think we consider paper as a hazardous waste yet. The
23 other question I have is if you could get a little more specific
24 about the state's regulatory program. You have mentioned that
25 you do have a permit program. Do you have an area of review

1 requirement whereby you review abandoned wells in the vicinity
2 of the injection wells?

3 MR. DUMAS: At present, we have a half mile radius
4 that we use for the area of review.

5 MR. LEVINE: And do you actually review each well in
6 that half mile radius?

7 MR. DUMAS: No necessarily. We have a reasonably good
8 idea of how the wells are completed in the area, and if we could
9 find any well that would lead us to believe that we had a
10 problem there, of course, we would be the first ones to turn
11 down an application in that area.

12 MR. LEVINE: Thank you very much. I'm sorry, just
13 a moment. Mr. Gordon?

14 MR. GORDON: I would like to ask just one question,
15 I think you mentioned that you saw the need for some minor
16 adjustment and that you would be improving upon your current
17 state program. I wonder if you could tell us as to whether any
18 of the changes that you plan to make in Arkansas, are based on
19 these proposed regulations and if so, or if not rather, how--
20 what differences there are; and then what kind of changes are
21 you planning?

22 MR. DUMAS: I think some of the review of the UIC
23 regulations brought out some point there that we might want to
24 adopt and strengthen our existing regulations. Frankly, I think
25 we could continue operating under the current regulations with-

1 out that but we would be willing to make some changes, I hat
2 to admit it, but we do see some good in some of the points.

3 MR. LEVIN: Could you state that a little louder?

4 MR. DUMAS: I should have turned my head, but I
5 really believe that there are some points that we could impr
6 after having reviewed the UIC regulations, and we will in-
7 corporate those changes as time goes by.

8 MR. LEVIN: Do you intend to submit any further
9 written comments that we can get some of these specifics.

10 MR. DUMAS: Yes, I will leave a copy of what I had
11 drafted originally here, and I do intend to submit some
12 additional comments.

13 MR. LEVIN: Thank you very much, we had to pick on
14 someone, Mr. Dumas.

15 MR. DUMAS: Ok, we don't mind.

16 MR. LEVIN: The next speaker is Mr. Greco, who will
17 be followed by the long awaited Mr. Mullican.

18 Mr. James Greco? Ok, he's not here. Mr. Jerry
19 Mullican, Chief, Solid Wast and Underground Injection Sectio
20 Texas Department of Water Resources. I know he's here. If
21 Mr. Greco comes in, would someone please let me know.

22 JERRY MULLICAN: Thank you, Mr. Chairman.

23 MR. LEVIN: Sorry, Jerry, can you hold a minute.
24 Troy Martin, Manager of Engineering Texas American Oil
25 Corporation, will be next.

1 MR. MULLICAN: You mean now or later?

2 MR. LEVIN: After you.

3 MR. MULLICAN: Ok. I will be glad to answer any
4 questions after I finish a very brief statement.

5 I think there have been alot of the regulations hashed
6 over enough today. I would like to say though, and remind the
7 people that Congress in its wisdom, or maybe the lack of it,
8 passed the Safe Drinking Water Act in 1974. The Safe Drinking
9 Water Act requires the administrator of EPA to promulgate under-
10 ground injection control regulations. In doing so, the Congress
11 gave the administrator of EPA a broad discretionary power in
12 developing regulations that the administrator felt was necessary
13 to protect underground drinking water sources.

14 The record is clear on the hearing preceeding the act
15 that Congress intended for the states to run their own program,
16 and protect their own ground work.

17 We, of the Texas Department of Water Resources, would
18 like to run our own program, as well as the Railroad Commission
19 would too, as far as the activities under their jurisdiction.
20 I would like to compliment Mr. Levin and his staff of the Office
21 of Water Supply for the good job, I think they have done in
22 listening and trying to do what is right, and trying to carry
23 out the intent of Congress.

24 Over the last 4 and 1/2 years, I've been following the
25 activities and the development of the underground injection

1 regulations since January of 1975, and I still have a copy of
2 the first working papers that were put together. It's pretty
3 scarey if you compare it with what we have today.

4 I would like to endorse and support Dr. Miller's
5 comments from the American Mining Congress. I believe they
6 are completely appropriate, and our written comments that will
7 follow will contain much of the substantive type recommendations
8 that he has recommended. As written, and I believe this has
9 been expressed partially by Paul Baltay, that the--or at
10 least I believe he recognized--that we can't live with the
11 Class III well requirements as they are written right now.
12 We couldn't promulgate our own state regulations to be consistent
13 with those Federal regulations, because we couldn't enforce
14 some of the items that are impractical and even impossible.

15 I would like to ask permission, if it is all right
16 ~~Mr. Chairman, to make one statement regarding item that will~~
17 come up tomorrow in 123, Part 123 discussion.

18 MR. LEVIN: Is it relevant to the UIC program?

19 MR. MULLICAN: Well, it's relevant to my department
20 My department's involvement in the UIC Program, and I'd like
21 to solicit support from the people in the audience at the
22 hearings tomorrow.

23 MR. LEVIN: Go ahead and make your statement.

24 MR. MULLICAN: The proposed 122, 123, and 124 regulations have
25 a requirement in them that penalties--state's statutes--must

1 have penalties equal to those penalties in the federal laws
2 both UIC solid waste and NPDES. I'm particularly concerned
3 with solid waste and underground injection, because that is my
4 responsibility. If anyone followed our Texas Legislature this
5 past session, I think you will know that unless there is a
6 change in the atmosphere of our own Legislature where they are
7 wanting to cut rather than give, and they are not out to create
8 anymore taxes for the citizens of Texas. In the few areas,
9 one or two areas, I think it will be entirely impossible that
10 our Legislature amend our Act again to increase penalties,
11 for either civil or criminal.

12 Our enforcement program in our department is a good
13 enforcement program. Some of the suits for pollution that we
14 secured have been as large as any in the United States, larger
15 than any that EPA has, in fact, collected. With our provisions
16 that we now have, we won't be able to go back to the Legislature
17 even if we wanted to recommend to the Legislature an increase
18 in fines, criminal or civil.

19 So, I'm only stating that if the people in Texas won't
20 be regulated by the state, then I think it's time for you to
21 speak up and make your comments to EPA as to how well you feel
22 the enforcement program is now in Texas. That's all I have
23 to say.

24 MR. LEVIN: Thank you very much, Mr. Mullican. Will
25 you stay and answer questions?

1 MR. MULLICAN: Yes, sir.

2 MR. LEVIN: Mr. Baltay?

3 MR. BALTAY: I understand in Texas you rely on a
4 pipe line cut-off. Could you quickly describe for us how that
5 works, and give us an assessment of your judgment of its
6 effectiveness.

7 MR. MULLICAN: That's the Railroad Commission's
8 responsibility.

9 MR. BALTAY: Do you apply anything like that in the
10 non-oil and gas areas in Texas?

11 MR. MULLICAN: Normally, when we have a problem we
12 naturally try to correct that problem administratively. In
13 other words, you have a well problem with a possibility or
14 its actually leaking, we like to get it fixed, and correct it,
15 and stop it right then. Then we worry about, in the event we
16 are going to sue somebody and how much we are going to get from
17 them, we have the authority to refer someone directly to the
18 Attorney General. We have the authority to get temporary
19 restraining orders, injunctions, and what have you. We have
20 the authority to sue for criminal damages, but our authority
21 is not quite as immediate as the Railroad Commissions as far
22 as pipelines are concerned.

23 MR. BALTAY: Just to clarify for the record, does your
24 department have responsibility for regulating oil wells except
25 Class II?

1 MR. MULLICAN: I'm glad you brought that up, Mr.
2 Chairman, because I missed part of my notes here. Let me
3 clarify that our department regulates Class I and most of the
4 Class III wells, and Class IV and Class V. We are not
5 regulations at all with the Class II wells, and I am sympathetic
6 with the oil and gas industry and the work load that will be
7 imposed upon the Railroad Commission if there is not a higher
8 degree of flexibility built into these regulations.

9 Our involvement in Class II wells is, I believe, as
10 the speaker pointed out earlier, is providing recommendations
11 on setting of surface pipe.

12 MR. LEVIN: Thank you. Any further questions from
13 the panel? Mr. Schnapf?

14 MR. SCHNAPF: I just have one. I think this area of
15 penalty is more appropriately discussed tomorrow, but I assume
16 you will be submitting more detailed comment.

17 MR. MULLICAN: One of our general counsel will make
18 a statement in this regard tomorrow, but in case some of these
19 people aren't here tomorrow, I wanted them to hear what I had
20 to say.

21 MR. SCHNAPF: In making further comments, it would be
22 very helpful for our purposes not only to get the general
23 reaction but to have more specific detail just what remedies
24 have available to you. What fines are available under the state
25 law, in other words, what is it, for example \$1,000 a day,

1 \$5,000 a day, that kind of information.

2 MR. MULLICAN: We will

3 MR. SCHNAPF: Good, thank you.

4 MR. LEVIN: Thank you, Mr. Mullican. The next speaker
5 is Mr. Troy Martin to be followed by Mr. Bob Hill.

6 TROY G. MARTIN: Mr. Chairman, my name is Troy Martin.
7 I am the Manager of Engineering for Texas American Oil Corpor-
8 ation, a relatively small publicly owned, Midland, Texas,
9 based oil and gas producing company. I have the responsibility
10 of determining the economic feasibility of installing Secondary
11 recovery and enhanced recovery projects. Also, I am respon-
12 sible for these projects' design, implementation, and operation.
13 My engineering staff and I have considerable experience with
14 inject procedures and problems related to secondary recovery
15 injection and disposal of produced waters.

16 Protecting our environment from underground water
17 injection pollution from Class II wells has been the respon-
18 sibility of the Texas Railroad Commission for over 40 years.
19 For the past 10 years, I have seen substantial improvements in
20 their injection and plugging requirements that more than
21 adequately protect the people of the State of Texas.

22 I sincerely believe that pollution of subsurface water
23 by underground injection practices is not a significant problem
24 in our state because of their efforts, as I understand your own
25 study performed in 1975, has shown. I am convinced that addit-

1 ional, more complicated procedures and regulations are not
2 needed and will be counter productive to me performing my jo
3 which is eliminating a significant problem in our country.
4 This problem is how we can increase oil and gas production a
5 maximize the recovery of these vital resources.

6 I am convinced that my company's efforts to work
7 toward reducing the energy crisis in America today, will aga
8 be seriously hampered by another good sounding, well meaning
9 set of regulations that, in reality, simply use up the resou
10 of experienced technical personnel and funds that we have
11 desperate need of in other areas of our business. I need to
12 concentrating on such things as drilling new wells, working
13 over existing wells, or installing secondary and enhanced re
14 covery projects. Instead, I will be bogged down in permitti
15 studying, and periodically preparing additional unproductive
16 government status reports.

17 It would seem prudent to continue to use the expert
18 of our state agencies in this area, and also to minimize the
19 additional burden you are placing on every oil operator in
20 this nation.

21 Specifically, Section 146 sets up concrete regulati
22 that the industry and the state regulatory agencies both
23 recognize, should be flexible to handle specific problems in
24 specific areas. There is no need to burden the oil operator
25 with regulations in areas where problems do not exist.

1 Section 146.04 does not need to be so extreme in its
2 definition of potable water. At 10,000 parts per million total
3 dissolved solids, I believe we are protecting a resource that
4 has no potential value to our state or nation. A reasonable
5 maximum value of 3,000 to 5,000 parts per million is the quality
6 of waters we should be concentrating our protection on.

7 Section 146.06, Area of Review is attempting to elim-
8 inate any migration of fluids from the oil production zone into
9 a possible fresh water strata. There is little flexibility in
10 the determination of the area of review. A review of all wells
11 located in this zone of endangering influence or the 1/4 mile
12 fixed radius will be an unnecessary burden for the operator.
13 An example is where the operator is attempting to install a
14 secondary project in an old, shallow oil field developed on
15 close spacing like 2 acre spacing, where wells are only several
16 hundred feet apart.

17 I believe that a reasonable area of endangering
18 influence should be based on the well density established by
19 the operator and the state regulatory agency. Normally, injection
20 wells in a regular waterflood pattern do not exert significant
21 influence outside of their pattern. For pattern type waterflood
22 projects, a distance somewhat greater than the distance between
23 the injector and the producer would seem to be a more reasonable
24 measure of the area of influence. Water disposal wells and
25 peripheral water injection wells may need to be handled under an

1 arbitray 1/4 mile fixed radius, but a producing wells' drain
2 age radius generally could be tied into an injection wells
3 endangering influence radius.

4 Section 146.07 appears to be tatally unnecessary fo
5 normal water injection operations. The prudent operator wil
6 take all necessary corrective action for any pollution probl
7 he may be involved in because of the states vast authority c
8 the operator and the possibility of litigation for damages
9 caused to the surface owner's water resources.

10 Section 146.08, Mechanical integrity in an injectic
11 well should relate to preventing fluid movement into a sourc
12 of drinking water and not non-drinking water zones. Casing
13 leaks in injection wells will almost always occur in deep
14 production casing strings as a result of encountering highly
15 corrosive undrinkable water sections, which are located belc
16 almost always below fresh water sections. The fresh water
17 section by state regulations are cased off and protected by
18 cement and steel casing and are never contaminated as a resu
19 of this major type of casing leak.

20 Paragraph (b) should not be required as a standard
21 regulation, dual redundant tests to prove mechanical integri
22 Let me try that again. Paragraph (b) should not require, as
23 a standard regulation, dual redundant tests to prove mechan'
24 integrity. Also, a small sampling of weels in fields that l
25 experienced limited corrosion problems is recommended.

Flexibility is strongly encouraged in establishing state requirements for mechanical integrity testing, which should be dependant upon the degree of casing leak problems encountered in an area.

Paragraph (c) has no value that I can determine as the previous test should conclusively show the absence of fluid movement.

Item 1, well records are already available in the state and they are available to the government and to the public.

Item 2, cement type logging programs do not tell the story as effectively as the Railroad Commission Representative, the cementing contractor, and the drilling contractor on the well location watching us circulate cement to the surface on all surface casing or equivalent casing strings, which are set in this state. The sworn statements of eye witnesses is more ~~cost efficient and reliable than the proposed logs.~~

In problem areas, the industry as a common practice will measure the cement top on production casing to determine whether more or less cement should be used on subsequent wells. A reduction in the cement volume is a cost savings, while increasing the cement volume may be necessary to cover potential problem zones and prevent future possible costly failures. However, measuring the cement tops in all wells is not necessary

Paragraph (d) should allow the state regulatory agency jurisdiction over handling this program with a periodic review

1 by the administrator. In no way, should the administrator
2 be directly involved in approval of individual routine tests

3 Section 146.22, I believe the state requirements are
4 more than adequate for new construction of injection wells.

5 Paragraph (d) lists these additional, unnecessary re-
6 quirements, which will substantially burden the operator and
7 do nothing to improve the protection of the drinking water
8 zones.

9 Item 1 Direction Surveys.

10 Item 2 Logging surface casing hole or logging cement
11 tops cannot increase the protection afforded the drinking wa-
12 zones. Since cement is always circulated to surface providing
13 the best possible protection to the drinking water zones that
14 is available.

15 Item 3, Logging programs below surface pipe as pro-
16 posed under Rules (i) and (ii) are totally irrelevant to the
17 protection of drinking water sources and should be totally
18 omitted. These type logs should be run at the discretion of
19 the operator. Gamma Ray logs can be effectively, and are
20 generally, run inside casing after the casing is set. Rule
21 (iii), I have previously discussed this rule under 146.08 (c)
22 (2), where I stated that determining the exact cement top on
23 all wells in most fields is not necessary and increases the
24 and burden to complete new wells.

25 Paragraph (e), Item (1), Obtaining pressure measure-

ments on every new injection well would be unnecessary and costly, since each injection project has a state approved maximum injection pressure for all wells permitted to the project.

Item (2) Reservoir temperature will not vary from well to well within a project, and is standard information submitted on each project request for a state injection permit. Also, a temperature survey is not normally included in a standard suite of production logs and would require additional investment.

Item (3) Fracture pressure is not necessary to determine on an individual well basis and requires actual measurements during fracture treatments. Injection wells are not fracture treated unless absolutely necessary due to the high cost, and the possible loss of oil recovery due to channeling from the injection well to the producing well, which can result in tremendous oil loss.

Items (4), (5), and (6) concerning formation rock and fluid properties, in my opinion, have no relevance on the protection of fresh water sources, except in terms of possible plugging off of the injection well face. The maximum allowable injection well head pressure allowed under each state permit is designed to prevent the use of excessive pressures. Also, I believe that this type of information is much more relevant for strata between the fresh water zones and the injection zone.

1 I certainly hope that expensive coring operations
2 are not being considered in these items. Also, again, I
3 believe developing this type information on each injection
4 well is ridiculous and unnecessary. Compatibility tests of
5 fluids on an individual injection well basis for all wells
6 in a project has never even been attempted, in my knowledge,
7 for a waterflood project.

8 Section 146.23, Abandonment of Class II wells in no
9 way should be different from the abandonment of any well,
10 producer or injector. The Texas Railroad Commission has more
11 than adequate requirements for plugging and abandonments, which
12 are strictly adhered to and witnessed by Commission representatives.
13 This is true in all states that I have been involved
14 with. Also plugging bonds are not necessary.

15 Section 146.24, Paragraph (b), Operating an expensive
16 secondary or enhanced recovery project necessarily involves
17 enormous amount of monitoring and informal recording of production
18 and injection data. Providing the government with
19 weekly or monthly individual injection well fluid analysis,
20 injection pressures, injection rates, and injection cumulative
21 volumes as listed in items 1 and 2 will never prevent pollution
22 of fresh water sources.

23 I complement the preparers for item 3. Demonstration
24 of mechanical integrity, I believe, is the way to prove that
25 migration of fluids is not occurring. However, I believe that

1 the arbitrary 5 year interval should be flexible and determined
2 by the experts in the state regulatory agencies. Some problem
3 areas may need more frequent testing, perhaps on a 2 or 3 year
4 basis and some areas, having no corrosion problems, will never
5 need testing.

6 Paragraph (c), Item (1), a summary monitory report
7 should address itself to mechanical integrity testing, instead
8 of monitoring of individual injection well rates, cumulatives,
9 etc., and should be required only after mechanical integrity
10 tests have been run.

11 Section 146.25, paragraph (d), item (3), and paragraphs
12 (e) and (f) are basic data required by state agencies for the
13 initial project injection permit and do not change because a
14 new injection well is drilled. This information should not
15 be required on an individual well basis.

16 Paragraph (h), Current drilling forms required by
17 state agencies for permitting all wells, injection, production,
18 and others, adequately describe the proposed well's construction
19 details, and an engineering drawing is both burdensome and
20 unnecessary.

21 Paragraph (i), formation testing programs are
22 generally not planned, since an operator would not drill in-
23 jection well unless he is reasonably assured the formation
24 would take injection fluids. This is not necessary for issu-
25 ance of a permit.

1 Paragraph (l), normal, prudent operating procedures
2 should be expected of an operator if failures occur, instead
3 of requiring any contingency plans. This is not necessary
4 for the issuance of a permit.

5 Paragraph (p), the construction data discussed above
6 in 146.25 (h) will demonstrate the operator's plan for mechanical
7 integrity. Any other demonstration of mechanical integrity
8 would need to be performed after the drilling of the well and
9 oil operators will not drill injection wells that, upon completion,
10 may not be permitted by a director.

11 Thank you for this opportunity to present my views on
12 the technical regulations proposed for underground injection
13 control.

14 MR. LEVIN: Thank you, Mr. Martin. Any questions
15 from the members of the panel? If not, we will move on.
16 Thank you very much.

17 Next speaker, Mr. Bob Hill, Vice-President of TISUM
18 Inc., Corpus Christi, Texas. I'm sure Mr. Hill will explain
19 what that stands for, following Mr. Hill will be Mr. Clyde D
20 Ford, Senior Counsel, Texas Gulf, Inc., Houston, Texas.

21 BOB HILL: Mr. Chairman, I will be glad to answer
22 any questions that I can.

23 Members of the panel. My name is Bob Hill. I am
24 Vice-President of the Texas In-Situ Uranium Mining Environment
25 Association, Inc. We are better known by the acronym TISUM

1 TISUMEA membership is composed of 11 companies involved in
2 in-situ mining or have expectation of being involved in the
3 near future.

4 Due to the time constraint, today I am commenting only
5 on items in CFR, 146 UIC Program that establishes policy or
6 major requirements that are important to the uranium industry.

7 The association will submit more detailed comments at
8 a later date on these regulations. The association believes
9 the regulations overall have improved since first proposed in
10 August, 1976. For example, solution mining wells are now
11 placed in a class separate from waste disposal wells, that is
12 major industrial waste. However, it appears that the EPA does
13 not yet understand the in-situ uranium industry and how it
14 operates.

15 One of the principal differences between in-situs
16 uranium mining and other processes, such as the Frasch process,
17 is the greater number of wells in a confined area. For example
18 one of the in-situ uranium operators has over 600 monitor wells
19 which they sample twice a month and operate about 1,000 pro-
20 duction and injection wells. Back in 1976, I think there were
21 2 operators with less than a couple of hundred wells. Hope-
22 fully, comments that you receive on these proposed regulations
23 will result in adoption of equitable regulations for this
24 industry.

25 I want to comment on the preamble of 40 CFR 146.

1 Subclasses of Class III. We advocate the use of subclasses for
2 the different types of wells within Class III. The use of a
3 subclass for uranium solution mining wells would facilitate
4 the development of regulations that should be singular suitable
5 to this industry.

6 The design and use of uranium solution mining wells
7 are different from other types of wells in Class III. These
8 wells differ in greater concentrations per unit area, they are
9 used to recover ore from an aquifer which in many instances are
10 hydrologically connected to a source of drinking water; and
11 they recover a product that requires a state or federal
12 license for handling.

13 The classification of wells within Class III into
14 subclasses would allow promulgation of generic regulations that
15 still could be specific to a subclass. An example of subclass
16 regulations would be adoption of the concept "permit area" for
17 a subclass of uranium mining wells. This adoption would
18 alleviate the permitting process for the use of a permit area
19 could be utilized for a block of wells and not on an individual
20 basis.

21 In the preamble you discussed economic impact. I find
22 it incredible that EPA indicates there would not be any in-
23 cremental costs, your table 5, to the uranium industry. Per-
24 haps the agency is unaware that several thousand in-situ
25 injection wells are presently in existence. These regulations

1 TISUMEA membership is composed of 11 companies involved in
2 in-situ mining or have expectation of being involved in the
3 near future.

4 Due to the time constraint, today I am commenting only
5 on items in CFR, 146 UIC Program that establishes policy or
6 major requirements that are important to the uranium industry.

7 The association will submit more detailed comments at
8 a later date on these regulations. The association believes
9 the regulations overall have improved since first proposed in
10 August, 1976. For example, solution mining wells are now
11 placed in a class separate from waste disposal wells, that is
12 major industrial waste. However, it appears that the EPA does
13 not yet understand the in-situ uranium industry and how it
14 operates.

15 One of the principal differences between in-situs
16 uranium mining and other processes, such as the Frasch process,
17 is the greater number of wells in a confined area. For example
18 one of the in-situ uranium operators has over 600 monitor wells
19 which they sample twice a month and operate about 1,000 pro-
20 duction and injection wells. Back in 1976, I think there were
21 2 operators with less than a couple of hundred wells. Hope-
22 fully, comments that you receive on these proposed regulations
23 will result in adoption of equitable regulations for this
24 industry.

25 I want to comment on the preamble of 40 CFR 146.

1 Subclasses of Class III. We advocate the use of subclasses
2 the different types of wells within Class III. The use of a
3 subclass for uranium solution mining wells would facilitate
4 the development of regulations that should be singular suits
5 to this industry.

6 The design and use of uranium solution mining wells
7 are different from other types of wells in Class III. These
8 wells differ in greater concentrations per unit area, they are
9 used to recover ore from an aquifer which in many instances
10 hydrologically connected to a source of drinking water; and
11 they recover a product that requires a state or federal
12 license for handling.

13 The classification of wells within Class III into
14 subclasses would allow promulgation of generic regulations that
15 still could be specific to a subclass. An example of subclass
16 regulations would be adoption of the concept "permit area" for
17 a subclass of uranium mining wells. This adoption would
18 alleviate the permitting process for the use of a permit area
19 could be utilized for a block of wells and not on an individual
20 basis.

21 In the preamble you discussed economic impact. I find
22 it incredible that EPA indicates there would not be any incremental
23 costs, your table 5, to the uranium industry. Perhaps
24 the agency is unaware that several thousand in-situ
25 injection wells are presently in existence. These regulations

1 as proposed would add a considerable cost to each well. One
2 example of the added cost would be the requirement of the
3 installation of a continuous monitoring device on each well,
4 to which, incidentally, we object.

5 Because of the great number of wells involved in
6 in-situ uranium mining, these regulations could be excessively
7 expensive. Many of the uranium deposits are small in size and
8 cannot support any unnecessarily burdensome requirements. We
9 believe that we can propose monitoring systems which adequately
10 protect the environment and will not be overly expensive. We
11 would like to see these requirements have the flexibility to
12 permit us to use our technical capabilities in attempting this
13 type of mining on small uranium deposits.

14 Realistically, the regulations are proposed will add a
15 significant financial burden to the uranium industry. Time
16 delays caused by many of these regulations can be just as costly
17 as hiring additional personnel or adding new equipment which
18 these regulations will require. We believe the EPA has not
19 done its homework on assessing the economical impact on the
20 uranium solution mining industry.

21 In Section 146.04, Underground Sources of Drinking
22 Water. This section requires the director subject to the
23 approval of the administrator to designate all aquifers as a
24 source of drinking water if they presently serve as sources
25 of drinking water with several exceptions. Based on the

1 exceptions, uranium solution mining could occur in an aquife
2 if it is "mineral, oil or geothermal energy producting".
3 Certainly uranium oxide is a mineral. Also, if the aquifer
4 so contaminated that it would be technologically impractical
5 to render it fit for human consumption, it would not be
6 designated a source of drinking water. Here, again, most
7 aquifers from which uranium is produced are high in radioac-
8 tivity exceeding the drinking water standards.

9 This section does bring up 2 very important questic
10 1, Must all aquifers that are sources of drinking water be
11 designated prior to the processing of permit applications?
12 2, Once all of an aquifer is designated a drinking water sou
13 can part of this be declared a non-source as new information
14 develops? The regulations in regards to these questions
15 should be written so there is clear understanding of the int
16 ~~And it is very important to individuals with the mining op-~~
17 ~~erations.~~

18 Mr. Chairman, I want to comment on 122.37, Area
19 Permits, this has been brought up earlier today. The concep
20 of permitting an area in lieu of individual wells is practic
21 by the Texas regulatory agency for solution mining. It is a
22 practical method for an ongoing operation where numerous we
23 are to be drilled and completed in an area. Because of the
24 erratic nature of the ore body deposition, it is impossible
25 determine the exact location of an injection well prior to

1 sequential development of the field.

2 An area permit concept is vital to uranium solution
3 mining. It is doubtful that the uranium in-situ industry
4 could survive were it forced to apply for permits for indi-
5 vidual wells because of the delay in permit processing. Mr.
6 Mullican seems to concur with that in his testimony.

7 In view of the importance of the area permit concept
8 to the uranium industry, we request that the option of its
9 use should not rest with the director, but instead with the
10 operator.

11 These regulations in Part 146 are far too specific.
12 They lack the flexibility needed for practical application.
13 Too often the regulations state "as a minimum", then list a
14 series of requirements. Because every injection operation is
15 different in some respect from all others, it is difficult to
16 determine minimum requirements.

17 In-situ uranium mining is a new technology and develop-
18 ment. There are many new and different techniques being studied
19 Any regulations that are adopted should permit the continued
20 development of new methods. The regulations should be
21 flexibility so that the operator may utilize his expertise and
22 knowledge in processing, mining and monitoring systems which
23 are suitable to the specific intentions at the site being mined
24 if the site has different geologic and engineering parameters.
25 It is not prudent to specify engineering and geologic require-

1 ments without allowing flexibility for considering differences
2 between sites and states.

3 We propose that the regulations must be more general
4 in nature for all types of injection. The operator must have
5 the use of more alternatives in the completion and operation of
6 the project. Certainly the regulations need more flexibility
7 as related to well construction, monitoring and reporting
8 requirements.

9 The objective of the regulations under Part 146 is
10 prevent the degradation of sources of underground drinking
11 water, and the agency should not lose sight of this objective
12 in proposing these regulations.

13 MR. LEVIN: Thank you, Mr. Hill, would you remain for
14 questions, please?

15 MR. HILL: Yes, I will.

16 MR. LEVIN: Any questions? Mr. Baltay.

17 MR. BALTAY: I have 2 questions. If you will recall
18 we made quite a bit to do in the preamble about the use of the
19 exemption for oil or mineral producing aquifer portions

20 MR. HILL: Yes.

21 MR. BALTAY: It has been argued to us during the
22 development of the regulations that once you have designated or
23 exempt from protection of a portion of an aquifer, you may have
24 no way of preventing any other disposal into that aquifer
25 portion, toxic waste, hazardous waste, whatever, and so we

1 requested specific comments there on ways of limiting the
2 exemptions so that production would not be disrupted but that
3 you would not be opening this up as an alternate waste dis-
4 posal sink. I wonder if you've got some help that you could
5 give us along those lines.

6 MR. HILL: I don't have today, Mr. Baltay, but it's
7 a very interesting point and it's a very critical point with
8 us. We will in our comments go further into this it has been
9 brought up today. But I think we really need to talk about
10 do you confine the injection as forever in this locality, or
11 do you clean up the aquifer? We will have comments in our
12 detail comments.

13 MR. BALTAY: You anticipated my second question, which
14 was going to be on this question of containment versus clean-
15 up or renovation of the aquifer, and soliciting your opinions
16 on that.

17 MR. LEVIN: To make it more specific, I would request
18 if you could submit proposed specific monitoring requirements
19 in your written comments if that is feasible.

20 MR. HILL: Yes, sir, we will to some extent. I must
21 also let you know that of the 11 companies in this organization,
22 probably about 6 will be submitting individual comments from
23 the company, and they will cover this even more in detail.

24 MR. LEVIN: One other thing, if the classification of
25 Class III is subdivided, do you have any specific proposal as

1 to how they should be regulated?

2 MR. HILL: We could come up with a proposal, we had
3 not done that. Certainly they would be very similar to the
4 manner that the Texas Department of Water Resources is now
5 handling that with some minor change.

6 MR. LEVIN: Ok, thank you. Mr. Schnapf?

7 MR. SCHNAPF: I have one question concerning your
8 comment on the area permits. I gather from your testimony t
9 you think area permits are almost necessary for your industr

10 MR. HILL: That's true.

11 MR. SCHNAPF: You did, however, state that you thou
12 the use of an area permit should be a matter of the operator
13 choice rather than the director's choice. I was wondering i
14 you could clarify that and elaborate on that a little bit.

15 MR. HILL: Yes. If we could set up a subclass for
16 in-situ uranium, then I think it would be more or less mandat
17 that we go into the area permit. I think the two have to go
18 together. I wouldn't mean this for all Class III, only a sub
19 class of the in-situ mining. Because, primary, it's an ongo
20 operation. We cannot predict ahead where we could drill a we
21 how many wells can we drill and so on; and it's very vital th
22 we have the flexibility to set up an area, and then develop
23 that as the need arises.

24 MR. LEVIN: Thank you very much. Mr. Ford who will
25 be followed by Mr. Arnold Chauviere from Louisiana.

1 CLYDE FORD: My name is Clyde Ford, I'm with Texas
2 Gulf. We produce sulphur by the Frasch process and I appreciate
3 the opportunity on behalf of Texas Gulf to be able to make
4 these comments today. I will follow these oral comments with
5 written comments in more detail on much of our objections to
6 the regulations as they currently exist.

7 These comments that are made are cumulative all of the
8 previous comments which have been made by us, and considering
9 the time and the effort, and the expense that went into pro-
10 ducing those comments; and further, considering the amount of
11 education that went into attempting to teach the EPA what
12 sulphur mining was, and it's not pollution mining, we think
13 it would be absolutely necessary that those comments be recon-
14 sidered or at least not ignored as alluded in the regulations.

15 For instance, we have had people, 2 to 5 Texas Gulf
16 employees, at Washington, D.C., at least 4 times, to Denver
17 once, to Dallas 3 times, to Tampa, Florida, once. Those air-
18 line tickets plus the expenses and salaries of those people
19 went toward developing that date, and we consider it much too
20 important to be ignored. Texas Gulf submits its prior comments
21 by reference as part of this being made today.

22 The regulations as strictly applied to Frasch sulphur
23 mining operations would be fatal. We take the position that it
24 is imperative that the regulations provide for area permitting,
25 which will allow the wells to be drilled without the necessity

1 of a prior permit so long as such wells conform to accepted
2 practices and procedures.

3 Texas Gulf drills over 300 wells per year in its sulphur
4 mining operations, and the necessity for having to obtain a
5 permit for each one of those wells, albeit administratively,
6 is excessively burdensome.

7 The well itself, being a short lived type thing, sulphur
8 wells having an average life of less than 1 year, would probably
9 be dead, plugged and abandoned by the time the permits got to
10 the EPA and was considered by. There is no margin for delay in
11 sulphur operations, it's an ongoing process. Just like the
12 uranium mining thing. You put heat to the reservoir, the sulphur
13 is melted and you cannot stop it, when a well dies on you, you've
14 got to continue going with this operation. You don't have time
15 for getting a permit. So we recommend that Part 146 be amended
16 to provide for approval by rule rather than by permit as you do
17 allow for Class II, Class IV and Class V wells.

18 Texas Gulf has operated a company owned town, known as
19 New Gulf, in connection with its mining operation since 1929.
20 The water supply at an average of 300,000 gallons per day for
21 this town comes from wells drilled on the flanks of Bowling
22 Dome. The current well that supplies this water was drilled in
23 1968. Since that time, we've drilled hundreds of sulphur wells
24 around it with absolutely no adverse affect on the quality of
25 that water. When considering this extreme longevity with few

1 if any problems, the method and procedures currently being us
2 should be allowed to be continued. Because of the history
3 demonstrated by the Frasch process operations, Texas Gulf
4 recommends to the EPA to declare those aquifers above the mi
5 areas as being non-drinking water sources. The EPA proposes
6 exempting mineral oil or geothermal producing portions of
7 aquifers from designation as an underground water source, dr
8 ing water source. Since they recognize these certain areas
9 non-drinking water sources, it is suggested that a declarati
10 of the aquifers above the mining area in Frasch operations c
11 be designated as non-drinking water sources with no adverse
12 effect environmentally.

13 There are only 8 Frasch mining operations in the
14 United States. All 8 of them are in the states of either
15 Louisiana or Texas. All except 1, as been mining for an ex
16 of 10 years with no environmental impact.

17 The Agency requested comment on the technical requ
18 ments of Class III type wells. Under current regulations,
19 sulphur industries have been grouped with solution mining,
20 situ copper and uranium mining, gasification and geothermal
21 wells. Meeting which have been held with representatives c
22 those subgroups have made it clear that this can no longer
23 continue with common type regulations; and that it must be
24 categorized for each one of those industries. It is our
25 recommendation that wells under subpart (d) Section 146.31

1 sub-categorized, and as for the sulphur operations because of
2 the unique method you use in the Frasch method of production,
3 regulations must be directed specifically toward those practices
4 to insure that the regulations will not interfere with the
5 production of sulphur. As I said, we can't stop the mining of
6 sulphur. We can't stop or delay the drilling of wells in a
7 Frasch type operations.

8 The Agency in environmental impact, the economics con-
9 sidered for Class III wells appear to be totally unrealistic,
10 unless it is assumed that the Agency assumed that many exemptions
11 from the regulations would be obtained. No cost was assumed
12 for mechanical integrity test. The tests outlined in the regu-
13 lations are expensive and it can only be assumed that the Agency
14 did not see the necessity for the test. If there is no necessity
15 for the test, there is no necessity for the regulation.

16 ~~Further, only \$300,000 was provided for monitoring by~~
17 the entire industry. While we calculate these costs to be
18 \$240,000 for Texas Gulf alone. Even more obvious is the failure
19 to consider the additional cost due to electric and radioactive
20 logs, and the necessity for cementing, which we calculate will
21 cost Texas Gulf \$22,748,000, a long way from what was presented.

22 The economic impact presented by the Agency, we don't
23 feel is even in the ballpark. It is noted that the economics
24 developed by the Agency were under draft regulations dated
25 August, 1977, which regulations are, in fact, quite different

1 from those currently being proposed.

2 Much of the regulation was relieved from Class II
3 wells using a reason there for that this industry has an eco
4 interest in being assured that the wells will contain the wa
5 in the formation into which the injected substance are being
6 placed. In the sulphur industry, the extremely high cost of
7 chemical treatment and heat must be considered when added t
8 the water being injected into sulphur wells. This water is
9 used for one purpose only that's only as a vehicle to convey
10 the heat to the sulphur so that it might be melted, and by t
11 way the water is fresh water.

12 If any water leaks away prior to entering the sulph
13 formation, all of the expense of treating and heating that w
14 is lost. We suggest that the sulphur industry, in fact, has
15 a much greater economic interest in utilizing the water that
16 injected; and therefore, should have the same consideration
17 were given for Class II wells.

18 The draft that had been submitted by EPA on March 2
19 1978, the regulations, draft regulations just prior to the o
20 that were published, were if not perfect, were headed in the
21 right direction and could be made workable. These regulatic
22 were developed after considerable conferences with the EPA.
23 Much of that effort and time was wasted since the final draf
24 regulations constitute a radical departure therefrom. Chang
25 have been made by EPA to the end of totally abrogating an or

1 public input which had been effective at that time to all
2 parties.

3 Section 146.08 covering mechanical integrity is not
4 effective as to Frasch sulphur mining. The test specified would
5 either be impossible to obtain or the results would be totally
6 meaningless. The measurement of pressure on a casing in a
7 sulphur well means absolutely nothing when the annulus area
8 between the tubing and the casing is where you are injecting
9 your water into the formation.

10 Section 146.32, construction practices also cannot
11 apply to Frasch wells. In the case of sulphur mining in the
12 Cappa Salt Domes, the necessity for cement to maintain the
13 integrity of the well is not required. Section 146.32, on page
14 23764 should be amended to provide exception for this type well
15 from the cement requirement.

16 Secondly, there is no need to require corrosive re-
17 sistent material in the case of a sulphur mine well. The
18 materials which are used with a very short life are sufficiently
19 resistant to corrosion to last and to protect for the entire
20 life of that well, and therefore, the necessity for having
21 additional type of equipment, as an additional expense, cannot
22 be justified.

23 Directional logs cannot be justified on sulphur wells.
24 Logs on wells drilled less than 2,000 feet where you have little
25 if any deviation whatsoever, is nothing but an expense that

1 can't be justified. And certainly would do nothing toward
2 protecting fresh water sands.

3 The other logs required under this particular section
4 can't be justified because in sulphur operations where the wells
5 last only 3 months to a year, and they're drilled 50 feet apart
6 the information obtained from one well to the next is minimal.
7 You could put the logs side by side and it would show the same
8 thing. So you are causing unnecessary expense with absolutely
9 nothing being gained from it.

10 We recommend that the Frasch operation should be
11 exempt from all of these sections. Sub-section (e) should be
12 modified to require monitoring of the wells only where they are
13 required, 5 wells appear to be an arbitrary number, I don't know
14 where it came from. The number of monitored wells, really should
15 be left to the discretion of the state director. Whatever is
16 necessary to do the job, not 5 arbitrary wells to one operation.
17 may be totally different from another. Monitoring, particularly
18 in a case where we mined for over 50 years without any impact
19 should be kept to an absolute minimum.

20 Section 146.33 requires a performance bond to assure
21 the wells will be properly abandoned. Sulphur industry is
22 comprised of companies of substantial means because of the high
23 cost of plant expenses, we don't have anybody small in our
24 business. All have sufficient financial resources and have been
25 able to satisfy the obligations of properly abandoning wells

without providing a performance bond.

Section 146.34(a)(1) requires injection pressure to be controlled to prevent the migration of fluid into underground aquifers. Our method of operation precludes any such intent. We are controlled by the pressure that is necessary to get the water into the reservoir to get the heat to melt the sulphur. We go no higher, no lower, we've got to go to that pressure. I will point out, however, that it's never high enough to be fractured.

Section 146.34(b)(3) requires demonstration of mechanical integrity at least once every 5 years. Due to the short life of this kind of well, I kind of feel like the golfer after he had sprayed 3 of his balls over into the water hazard, and the caddy said, why don't you get a used ball, he said, I would I've never had one. I've never had a 5 year sulphur well either.

Section 146.34(c) requires quartely reporting. By the time data is collected, prepared and reported and the state analysis the data, sulphur wells having a very short normal life could have been replaced, and the data could not possibly apply when the corrective action was attempted by the state. Information gathered requires instant action on the part of the operator, and by the time the data could reach the state, we would have already taken whatever corrective action was necessary in the interest of a sufficient operation of our own

1 interest. Quartely reports for our sulphur wells should be
2 totally dispensed with or at most, an annual report substitute
3 therefor summarizing the results of the operation.

4 MR. LEVIN: Mr. Ford, excuse me for interrupting.
5 You are running way over time and in all fairness to additional
6 people who still have to testify, can you summarize very
7 quickly.

8 MR. FORD: Ok. The only thing that we do have to say
9 is that much of the comment with regard to what I was going
10 say later will be brought out in our written comments, and I
11 do appreciate the opportunity of being here today. I will
12 answer any questions that I can. I have the Manager of the
13 Environmental Affairs with me, if I can't answer it maybe he
14 can.

15 MR. LEVIN: That will be fine. You can ask him to
16 come up with you if you like. But let's first see if there
17 are any questions. Any questions from the members of the
18 panel? Mr. Baltay?

19 MR. BALTAY: You mentioned a specific figure as to
20 estimated cost of Texas Gulf alone. I would gather from the
21 specificity of the number, that you must have some detail back
22 ing that up.

23 MR. FORD: Yes. It will be in our further comments
24 later on, but the figures were based on our drilling 337 wells
25 per year. We went to Slumber J and Halliburton, got the co

1 logs and the cementing that would be required which is \$13,500
2 per year, multiplied that times 5 years and you come up with
3 the \$22,748,000 that we feel like it will cost us additionally
4 due to the regulations as presented. With regard to the
5 monitoring, that was based on 5 wells for 3 sites arbitrarily
6 1,000 feet as the depth of the well, I don't know what it's
7 going to be, but that's what we used in our figures here.
8 \$7.00 a foot for drilling plus \$7.00 a foot for the cost of
9 the casing and then you've got 5 sites at \$2,000 per well for
10 cementing that comes up to \$240,000.

11 MR. BALTAY: But detail will be in your written report.

12 MR. FORD: Yes.

13 MR. BALTAY: Ok, thank you.

14 MR. LEVIN: Any further questions? Thank you very
15 much, Mr. Ford.

16 Mr. Chauviere followed by Mr. David L. Durler.

17 ARNOLD C. CHAUVIERE: Mr. Levin and members of the
18 panel, I am Arnold C. Chauviere. I am the Assistant Commissioner
19 of the Office of Conservation, in the State of Louisiana.

20 Last night we heard the President's plea for help
21 from all of us to solve the energy crisis. He said what I have
22 known for the past several years, that the isolated island,
23 Washington, D.C., so far out of touch with the majority of the
24 people does not have the answer.

25 In many instances, the stumbling block the bureaucrats

1 place in front of our energy efforts and the name of "environ
2 mental protection has given rise to the energy situation whi
3 we find ourselves today.

4 We in Louisiana are willing to do our share but we
5 cannot if the isolated island representative from Washington
6 will not allow us to. And Mr. Baltay and I had heard it bef
7 I think I was privileged to comment also for Victor Kimm,
8 I think yall all know who he is. In Mr. Baltay's address
9 earlier this morning he outlined several parameters which ar
10 necesssary for the Safe Drinking Water Act for a state to
11 qualify to regulate his own business. I would like you gent
12 ment know today that Louisiana has, and will, comply with th
13 parameters has defined in PL93523. We are doing it now.

14 In addition, it was stated, which I've heard before
15 that the states were listed in the Federal Register as needi
16 an underground injection control program based on the amount
17 water and the uses of that water. We, in Louisiana, are very
18 fortunate, we do have alot of ground water and we do use it.
19 But I can't see how the uses of ground water is any basis to
20 determine whether the state has an adequate program or not.
21 On the contrary, if the state uses the ground water, it shou
22 support the position that the state has an adequate injectio
23 program and is not polluting the water.

24 I've heard comment today, and in your Federal Regis
25 and in the rules you asked for corments relative to small

1 operators whether they should be exempt or not. I think the
2 small operators should be exempt, I think the large operators
3 should be exempt and you go out of business and let the states
4 regulate their own business. We've been doing that for 40
5 years. I've been with the State of Louisiana for 32, and to
6 my knowledge, there has not been a single instance that we know
7 of that the ground water has been polluted as a result of
8 injection.

9 And the gentleman from Dupont who addressed you earlier
10 this morning, I didn't get it if he did say it, but he was
11 giving cost figures as to what the regulations would require;
12 I don't know if he addressed himself to the position where the
13 area of review is a radius of 2 miles. And most of the hazar-
14 dous waste disposal wells, are in areas where you do not have
15 much oil and gas activity. But in the State of Louisiana, I
16 would say that just about in every instance where we have
17 hazardous waste disposal wells within that 2 mile radius there
18 are several dry holes drilled within that area. Some are old
19 and some are recent. Now if any of these wells, do not meet
20 the requirements of EPA and have to be properly plugged, or
21 properly completed, the disposal well permit cannot be issued,
22 unless someone goes into that well and completes it according
23 to the regulations. And I think of these old wells, and I've
24 heard many instances where people have gone back into old wells,
25 and they never could get back into the wells and do what they

1 wanted to do. And I think that situation will occur again i
2 any hazardous waste disposal tries to go back into an old we
3 and the possibility is excellent he will never accomplish hi
4 task and, therefore, he will not be issued a permit to dispo
5 of waste in any new well.

6 It has come to my attention, in the last week or so
7 that some of our political leaders throughout the country, s
8 in Congress and some in the various states, have been concer
9 with the federal rule making and they are frustrated with the
10 clear intent of Congress. I'm going to be truthful with you
11 these were in other areas where rule making by federal agenc
12 but they were not directly related to what we are addressing
13 here today. But I think the point is clear, and I am of the
14 firm opinion, that EPA and their rule making was circumventin
15 the intent of Congress in many of these regulations you are
16 presently making.

17 Two different individuals this morning, and maybe th
18 afternoon, report to the study conducted by the IOCC. I
19 happened to be at that meeting which was held here in Dallas
20 several months ago, which was before the National Drinking W
21 Advisory Council, I think that's the correct title. Anyway,
22 Mr. Johnson, was the Chairman, and the states in Region VI w
23 presenting their position to the Council, and EPA was presen
24 theirs at that time and at other times; and the Chairman ask
25 he said, it's kind of confusing that the EPA is contending t

1 the rest of the panel, that you have succeeded in confusing the
2 regulating states in Region VI, and I feel sure throughout the
3 nation, by the consolidation of your permits. But I can assure
4 you, you will not divide and conquer. Now with all that ad
5 libbing, you can permit that I have about 4 minutes to read
6 to you.

7 MR. LEVIN: Was that just the introductory?

8 MR. CHAUVIERE: First, I would like to have my past
9 remarks concerning the EPA-UIC proposed regulations made a part
10 of this record, and that's if yall can find them. We still--

11 MR. LEVIN: Excuse me, Mr. Chauviere. Could you be
12 specific on what is it we are suppose to find to make a part of
13 the record?

14 MR. CHAUVIERE: Well, I attended several meetings and
15 have given several statements, and you must have them somewhere.
16 If you can't find them, these will suffice then.

17 MR. LEVIN: All right. Please continue.

18 MR. CHAUVIERE: We still object to EPA creating rules
19 unnecessarily for those states which have workable rules and
20 regulations now in effect. We contend these proposed rules
21 will interfere with and impede oil and gas production in the
22 State of Louisiana unnecessarily; and, they will have a disrupt-
23 tive effect on our existing state program.

24 I think PL93-523 says you shouldn't disrupt a state
25 program.

1 In order to salvage a degree of flexibility from the
2 proposed regulations, it is imperative that only the applica
3 for a new Class II and Class III permits be required to comply
4 with the area of review requirements. If old wells were in-
5 cluded in this area of review, it would put an impossible
6 task on the operator and the state regulatory authority and
7 would result in shutting in many oil and gas wells needlessly.

8 I would just like to divert from the text a minute
9 let you know that any new wells, and there is a great possib
10 ity that no new wells will ever be issued if the area of rev
11 isn't considered seriously. Because in Louisiana and the re
12 of the producing states they've been drilling oil and gas we
13 since 1900, and you know, and I know, that the regulations o
14 1900 or 1910, 20, or 30, are not like they are today. So I
15 have no doubt in my mind that someone will find within an are
16 of review, a well that doesn't comply with the existing rules
17 and regulations as to properly abandonment, and therefore, we
18 could not issue a permit. So your answer usually is, go back
19 and fix it. Go back and complete it properly. Well, that's
20 practical and I just informed you that in most instances whe
21 you go back into an oil well, you'll find junk in the well t
22 you cannot go back and accomplish the fete which you are try
23 to do. In essence, you are just eliminating any disposal
24 operations.

25 In order to obtain EPA approval for primacy, the pr

1 posed rules require that a state must demonstrate the intent
2 and adequate legal authority to assess maximum civil and
3 criminal fines, the same as the maximums specified in the
4 federal law. The State of Louisiana does not have this author-
5 ity, and it is very doubtful that it could obtain such authority
6 any time in the near future.

7 The proposed regulations providing for "area permits"
8 where a number of injection wells are within a single parcel
9 of land and under the control of the same individual, is still
10 vague and unclear. Except in a very few instances an operator,
11 individual, will have to go through the entire public notice
12 and hearing process for the vast majority of permits issued
13 in a field or area. Why, why must the permit procedure be this
14 way?

15 For about 4 years EPA has been involved in writing the
16 Underground Injection Control regulations to protect the environ-
17 ment, and there has been tremendous public, private, state and
18 industry participation. Once the UIC regulations are promul-
19 gated, any applicant must comply with the rules in their entire-
20 ty before a permit or an area permit can be approved and issued.
21 I would like to know why? Why, in the proposed rule draft, is
22 it still necessary to go through the notice and public hearing
23 process before a disposal permit or, so-called, poorly defined,
24 area permit can be issued.

25 MR. LEVIN: Mr. Chauviere, I'm going to have to interrupt

1 you for a moment. First, you are entering into an area that
2 will be discussed tomorrow; secondly, you are beginning to g
3 over time. Is there a possibility that you could summarize
4 within the next few minutes?

5 MR. CHAUVIERE: I have about a page left.

6 MR. LEVIN: I don't know how long it takes to go ov
7 a page, but I have to be fair to the speakers you have indi-
8 cated a desire to speak, and who have tried to keep their
9 testimony down to the allowable 10 minutes. So, if you woul
10 please try to summarize it the best you can, we would apprec
11 it.

12 MR. CHAUVIERE: Yes, sir. Are non-technical commen
13 basis enough to disallow an applicant permission to dispose
14 waste if he is complying with all the rules in their entirety?
15 If non-technical objections are sufficient evidence to reject
16 a disposal permit, we have been wasting our time these past
17 years writing technically sound rules. If this be the case,
18 we can just forget about disposing of waste in the subsurface
19 by means of disposal well.

20 When applying for primacy to the EPA for UIC regula
21 authority, one of the requirements is that the applying stat
22 must first hold a public hearing for comments concerning the
23 application for primacy. If a state seeks primacy in accord
24 ance with all the rules promulgated by EPA, what would be
25 gained by the hearing? If there are objections by the publi

1 to the state seeking primacy under EPA guidelines, does this
2 constitute non-approval of the state's application? If the
3 commentors object to the state regulating the program under
4 federal guidelines, it stands to reason they would also object
5 to the federal agency regulating the program under those same
6 guidelines. If this is the case, who would end up reguland
7 the program--the state, the federal government, or the public?
8 If they object to the state applying for primacy under federal
9 guidelines, but not under state guidelines, will the EPA accept
10 their judgment and leave the regulating to the state?

11 EPA's proposed rules contemplate imposing a requirement
12 for testing annular pressure. I am at a loss as to how an
13 annular pressure test can be accomplished on an annular injection
14 well. EPA guidance is needed in this area.

15 I feel the proposed regulations will have a crippling
16 effect on the small oil and gas producers who have marginal
17 and stripper wells. However, I do not have information com-
18 piled to substantiate this opinion. I hope the impact on the
19 small operators will be known before these regulations are
20 finalized.

21 Section 146.22(d)(1) requires directional surveys be
22 conducted on all holes, including pilot holes, at sufficiently
23 frequent intervals to assure that vertical avenues for fluid
24 migration in the form of diverging holes are not created during
25 drilling. Directional surveys should not be required unless a

1 hole is directionally drilled intentionally. The director,
2 at his discretion, should have authority to require directio
3 surveys.

4 In conclusion, if the EPA will allow the State of
5 Louisiana to continue regulating subsurface injection by the
6 state rules and regulations, we will get on with the job of
7 trying to satisfy the nation's energy needs. To interfere w
8 and impede the production of oil and gas in the state un-
9 necessarily is in direct conflict with P.L. 93-523, and will
10 result in weakening any possibility we might have in trying
11 meet our energy demands. Thank you. Sorry I ran over.

12 MR. LEVIN: Thank you, sir. We may have a question
13 or two?

14 MR. SCHNAPF: To be fair to you, I've asked several
15 of the other states representatives a question, and I'd like
16 to ask you the same question. First of all, does the state
17 regulate at all, small operators. You've heard the small
18 operator exemption tossed around here today.

19 MR. CHAUVIERE; Yes, sir. We regulate them all th
20 same.

21 MR. SCHNAPF: What is the basic system that the
22 state uses for regulation? Is it a permit system?

23 MR. CHAUVIERE: Yes, sir, I stated in the text.

24 MR. SCHNAPF: I'm sorry.

25 MR. CHAUVIERE: You weren't listening.

1 MR. LEVIN: I'm going to have to ask you to stop
2 intimidating the panel.

3 (Laughter)

4 MR. CHAUVIERE: I'm really not.

5 MR. SCHNAPF: The final question I have was with the
6 area of review. We've heard several of the other states say
7 they do employ the concept of an area of review, and I was
8 wondering if Louisiana uses that concept at all in its
9 program.

10 MR. CHAUVIERE: No, sir. We don't have any specific
11 area of review. We do review in instances where we think it
12 is necessary. I would like to add at this time, that we have
13 been injecting in the subsurface in the State of Louisiana for
14 40 years or more, and as I mentioned, I've been there for 32.

15 MR. SCHNAPF: I heard that.

16 MR. CHAUVIERE: Atta boy. To my knowledge, and the
17 other knowledge in the department, the injection has not
18 resulted in contamination or pollution of our valuable fresh
19 ground water aquifers. Thank you.

20 MR. SCHNAPF: Thank you.

21 MR. LEVIN: Any other questions, I have a few.
22 Mr. Knudson?

23 MR. KNUDSON: Were you talking, in regard to your
24 area of review, of these holes or wells you are familiar with,
25 is this relating to the oil and gas production that you had some

1 guidance for us on the area of review, different than the
2 hazardous waste? Or are you going in and you have wells in
3 the area that you are unfamiliar with and you are putting a
4 hazardous waste injection operate differently than.

5 MR. CHAUVIERE: ³Mr. Knudson, I didn't mean to imply
6 that we would just have that problem with hazardous waste
7 disposal wells. The problem will be more inherit with salt
8 water disposal wells because in a majority of the cases, the
9 salt water injection wells are where they are producing the
10 salt water and that is in the middle of a field in an area
11 that's been drilled from 1900 to the present time. So again
12 the rules of many, many years ago are not as they are today
13 Under the rules today are designed and have been for many y
14 to protect the fresh ground water. And I would like to add
15 this time, when I was young and foolish many years ago, we
16 protecting ground water and the best information we could g
17 from the most knowledgeable people in the business in Louis
18 and that was the U.S. Geological Survey, Ground Water Divisi
19 which was right across the hall from our office. In those
20 the ground water was fresh potable water was considered to
21 250 parts per million chloride. Which relates to 500 parts
22 million total dissolved solids, and we have been protecting
23 to that depth. Now, I won't say it Mr. Levin, but, EPA co
24 along and changes the rules. Our surface casing has been a
25 taking care of the 250 parts per million, and now you're br

1 it down to 10,000 parts per million and it's kind of difficult
2 to go back and stretch that casing.

3 MR. LEVIN: You've answered the question. Any other
4 questions before I ask mine? Oh, good.

5 I just want to make sure I understood you correctly,
6 when you were talking about penalties, you indicated, I think
7 that Louisiana had no penalties. Am I correct.

8 MR. CHAUVIERE: No, sir, I didn't indicate that.

9 MR. LEVIN: Ok, could you restate it then.

10 MR. CHAUVIERE: What I indicated was that we couldn't
11 meet yours. We do have a penalty. Your maximum penalty is
12 \$5,000--\$10,000, we have several penalties but no criminal.
13 Our penalties are \$1,000 a day. Now we can exceed the 5 or 10
14 if the operator is foolish enough to violate the rules enough
15 days. However, if it is serious, and I have to make the state-
16 ment the way I did relative to penalties and fines, if it is
17 a serious violation for just one day, we can fine him more than
18 \$1,000. So we may like under your rules be \$5,000 or \$10,000,
19 so therefore, our regulations in my opinion, are not the same
20 as yours.

21 MR. LEVIN: Thank you.

22 MR. SCHNAPF: I just want to make one point of clari-
23 fication. The requirement that the state, and this is probably
24 what we'll discuss tomorrow, but the requirement that the state
25 hold a public hearing before submitting, EPA is directly out of

1 act itself, something that Congress wanted, not us.

2 MR. CHAUVIERE: Would you go through that again.

3 MR. SCHNAPF: You were complaining that we required
4 a hearing before the state submitted a program for primacy,
5 that's directly out of the law itself.

6 MR. CHAUVIERE: Well, I think the law should be amended.
7 Thank you.

8 MR. LEVIN: I have a few others.

9 MR. CHAUVIERE: Mr. Levin, you're sure you are not
10 exceeding your time.

11 MR. LEVIN: The comments were only for the speakers.
12 There are certain prerogatives that the Chair has.

13 MR. CHAUVIERE: I've been on that side.

14 MR. LEVIN: One more question. Several states have
15 mentioned this, and I'm not picking on you but since you are
16 up here, I'm just curious why doesn't Louisiana have exemptions
17 for a small operator?

18 MR. CHAUVIERE: I don't know why we don't have an
19 exemption for small operators. I don't think we should have
20 an exemption for small operators. They can pollute our fire
21 water aquifer just as well as a large operator.

22 MR. LEVIN: So you feel they should be treated all
23 alike.

24 MR. CHAUVIERE: Yes, sir. I said I think they both
25 should be exempted.

1 MR. LEVIN: Could we have order here, I just have
2 one other thing. This morning, I indicated that if I felt the
3 regulations were clearly being misinterpreted, that we would
4 allow the panel members to offer clarifications. I feel
5 obligated to do so even when the law is being misinterpreted.
6 So I would like to answer a statement for the record quoting
7 from the House of Representatives, Report 93.1185 or the
8 Safe Drinking Water Act dated July 10, 1974, page 32, which
9 says in part: "The committee was concerned that its definition
10 of endangering drinking water sources also be construed
11 liberally. Injection which causes or increases contamination
12 of such sources may fall within this definition, even if the
13 amount of contaminant which may enter the water source would
14 not by itself cause the maximum allowable levels to be exceeded.
15 The definition would be met if injected material were not com-
16 pletely contained within the well, if it may enter either a
17 present or potential drinking water source, and if it, or some
18 form into which it might be converted, may pose a threat to
19 human health or render the water source unfit for human consump-
20 tion.

21 "In this connection, it is important to note, that
22 actual contamination of drinking water is not a prerequisite
23 either for the establishment of regulations or permit require-
24 ments or for the enforcement thereof."

25 That concludes our questioning for Mr. Chauviere, thank

1 you very much.

2 MR. CHAUVIERE: Thank you. Well, do you know what
3 1422 of the Safe Drinking Water Act says?

4 MR. LEVIN: I would hope so, but I would like to me
5 on. Thank you very much.

6 MR. CHAUVIERE: Thank you and excuse me for exceedi
7 my time.

8 MR. LEVIN: That's quite all right, I think we help
9 you a little bit.

10 Mr. Duler to be followed by Mr. Polizi, I'm probab
11 pronouncing that wrong but we will correct it.

12 DAVID L. DULER: Mr. Chairman, that's going to be
13 tough act to follow, so I'll try to keep it short.

14 My name is David L. Durler, I am presently employe
15 by Texas Uranium Operations, U.S. Steel Corporation, as the
16 Supervisor of Environmental Affairs. The following oral pr
17 entation addresses the recently repropoed regulations for
18 Underground Injection Control Program.

19 Since our company operates the largest commercial
20 situ uranium leach operation in the United States, and as
21 regulations in their presently repropoed form will have s
22 cant impact upon our operation, it is our hope that EPA wi
23 careful consideration to each of the comments set forth in
24 presentation.

25 My initial statements will address our method of

1 and the complexity of our operation, so that those present
2 can get some ideal of how these regulations will have an impact
3 upon us.

4 Texas Uranium Operations currently has 4 in-situ
5 uranium leach mines in South Texas. In our solution mining
6 technique, an alkaline solution is injected into fresh water
7 aquifer through injection wells that are screened at the desired
8 ore horizon. Recovery wells are located near the injection wells
9 for removal of the uranium enriched solution. Ideally, there
10 is a constant sweeping of leachate solution through the produc-
11 tion zone aquifer from the injection wells to the recovery wells
12 Monitor wells surround the production area and are screened in
13 appropriate stratigraphic horizons, both production and non-
14 production zones, to detect any horizontal or vertical migra-
15 tion of leachate.

16 I should point out at this point, that we currently
17 have over 300 monitoring wells now in operation.

18 The enriched uranium solution from the recovery wells
19 is pumped to a processing facility where the uranium is further
20 concentrated for eventual sale as yellowcake.

21 As can be seen from this brief description of our
22 method of mining, it is necessary to inject into a marginal
23 underground source of drinking water for the extraction of a
24 needed energy source. From our experience, the groundwater
25 quality within the immediate vicinity of the ore body does not

1 conform with EPA standards since the radium 226 concentrations
2 may vary from 100 pCi/l to over 1,000 pCi/l. However, values
3 for TDS will range from 800 milligram per liter to over 1,500
4 milligram per liter within the limits of the ore horizon.
5 With this initial information, I would like to now comment
6 on what Texas Uranium Operations feels to be our major concerns
7 related to 40 CFE 146 and to a small degree CFR Parts 122.

8 Our first comment concerns what we consider classifi-
9 cation of Class III wells. The criteria and standards applica-
10 ble to Class III in Parts 146.31 through 146.35 cannot for the
11 most part be rationally applied to our operation. Texas
12 Uranium Operations currently has approximately 600 injection
13 wells in operation throughout the four mine sites. Total depth
14 for each of these wells is no greater than 600 feet and usually
15 averages approximately 350 feet. Each well is cased with 4 or
16 ~~6 inch I.D. Schedule 40, PVC pipe; no injection tubing is uti-~~
17 lized. Our current drilling program averages about 5 to 8
18 completed injection wells per week. Therefore, it is inappli-
19 cable or unnecessarily burdensome for an operator to fulfill
20 many of the requirements in 40 CFR 146.32 through 146.35.
21 Examples of some of the more unflexible rules are as follows:
22 For example 146.32(d), must we, an operator, submit for
23 each new injection well the fluid pressure, the fracture pressure
24 and the physical and chemical characteristics of the injection
25 fluids and formation fluids?

1 In 146.32(e), it is not possible in the case of our
2 new Class III wells to determine the natural fluid level, and
3 also the natural water quality prior to operation of an in-
4 jection well.

5 Section 146.34(b)(2), it is cost prohibitive for
6 operation to install for each, and I'd like to emphasize that
7 we have 600 injection wells at present, to install for each
8 injection well continuous recording devices for the continuous
9 monitoring of injection pressure, flow rate and volume. For
10 the most part, our operation does not inject under pressure.
11 We just use photographic flow.

12 These requirements under Subpart D are even more
13 questionable when one remembers that the entire injection well
14 pattern area is surrounded by monitor wells that are screened
15 in appropriate stratigraphic horizons to detect any leachate
16 migration that may occur. It is our recommendation that Class
17 III wells be subcategorized in such a way that specific,
18 although general applicable rules can be applied to the in-
19 mining process since it already possesses a subsurface monitor
20 well system far superior to any other method found in mining.

21 Our second general comment concerns area permits
22 for Class III wells.

23 Under 122.37, it states that the director may issue
24 permits on a well by well or an area basis provided that the
25 criteria are addressed. Furthermore, it states that after

1 area permit has been issued, the permittee must still seek
2 administrative approval from the director for additional new
3 injection wells. Based on our foregoing comment that injection
4 wells at our sites are installed at a rate of 6 or 7 per week
5 it seems unnecessarily burdensome for the director to approve
6 beforehand their construction and afterward their mechanical
7 integrity. This is especially unreasonable since the State
8 Director as already approved if a monitor well system that
9 completely surrounds, both horizontally and vertically, the
10 injection well pattern area. It is our recommendation that
11 once an area permit has been issued for an in-situ leach mine,
12 that notification of new injection wells not be required nor
13 that a demonstration of mechanical integrity be necessary.

14 Our third general comment concerns the permitting
15 scheme for Class I wells in particular.

16 When considering rule 146.11(c) in light of 122.36(b)
17 (2) and 122.36(d), it is somewhat confusing as to whether the
18 applicant must secure a permit to construct an injection well
19 or a permit to operate an injection well, or both. It is
20 readily apparent that no permit will be issued if the well
21 lacks adequate mechanical integrity. However, in the introduction
22 to 146.12, Construction Requirements, it states that "the owner
23 or operator of a proposed injection well shall submit plans for
24 testing, drilling and construction to the director of the initial
25 plans as a condition of the permit". My question is, how can the

1 director approve of initial construction plans as a condition
2 of the permit when, according to 122.36(d), the well must already
3 ready be in place and mechanical integrity established before
4 permit is issued?

5 Texas Uranium Operations currently has 5 deep disposal
6 wells that serve our South Texas solution mining operation.
7 It is apparent that the intent of the EPA in permitting Class I
8 injection wells is to allow for well construction and mechanical
9 integrity testing prior to any permit issuance. Based on our
10 experience in Texas, it would not be acceptable for our company
11 to have an injection well that is constructed, and has passed
12 an integrity test, to remain inactive while the permit goes
13 through the public hearing process. At a minimum, such an
14 interim period will cause an operational delay of 2 months.
15 Our company would prefer not to invest money in a waste disposal
16 well system before having all requirements firmly agreed upon
17 and assurance that, if these requirements are met, injection
18 can start. We recommend that a permit be issued prior to
19 construction of a Class I injection well, and that drilling
20 completion, logging, formation testing, and mechanical integrity
21 testing requirements be incorporated into the permit. It should
22 be recognized that this method of permitting is fundamentally
23 easier to grasp and to implement.

24 It is our concluding recommendation that the United States
25 Environmental Protection Agency investigate further

1 technical aspects of the in-situ leach industry and the economic
2 impact of the subject regulations prior to their drafting any
3 further rules. On behalf of Texas Uranium Operations, I
4 would like to express our appreciation for the opportunity
5 to testify today.

6 MR. LEVIN: Thank you very much, Mr. Durler. Will
7 you submit to questions?

8 MR. DURLER: Yes.

9 MR. LEVIN: Questions by the panel? I don't think
10 we're tired, I think we've gotten the grasp so the testimony
11 on Class III wells pretty much is coming out the same way.
12 The fact that there are no questions, doesn't indicate that
13 there is any lack of interest in your statement.

14 MR. DURLER: I would like to invite anybody from EPA
15 to come down to see our site. I don't think anybody has to my
16 knowledge.

17 MR. LEVIN: We do have plans of that nature, depending
18 on our travel vouchers for next year.

19 MR. DURLER: We wholeheartedly welcome you to come
20 down there, we have enough blinders and blindfolds and then
21 some.

22 MR. LEVIN: Thank you. Mr. Mark Polizi, please correct
23 me on the pronunciation, Planning Engineer Union Carbide
24 Corporation, Metals Division, Benavides, Texas. Following
25 Mr. Poliza will be Mr. J. R. Anderson; and Mr. Anderson, unless

1 I get anymore request you will be the final speaker.

2 MARK POLIZI: My name is Mark Polizi, I'm with Union
3 Carbide Metals Division, and again you will hear more on Class
4 III wells.

5 My remarks today are directed toward the application
6 of UIC regulations to our present and protect in-situ uranium
7 solution mining operations. We endorse the comments made to
8 by the American Mining Congress, and the Texas In-Situ Uranium
9 Mining and Environmental Association, as they pertain to the
10 operations.

11 Although we have numerous comments which will be discussed
12 in our written statement, today I will only discuss
13 area wide permit concept as entered in the proposed UIC regu-
14 lations. We, as well as other in-situ leach operators, require
15 numerous injection wells within a small area for our process.
16 ~~In addition, Union Carbide uses each well as both an extraction~~
17 ~~and an injection well. A given well may be used for injection~~
18 ~~or extraction or may be left idle depending upon production~~
19 ~~requirements. Therefore, every well we drill will have to~~
20 ~~be considered an injection well for regulation purposes.~~

21 Production of uranium during one year from 15 to 20
22 acres of our ore bodies requires the drilling and operation of
23 hundreds of wells. These wells are spaced from 30 to 50 feet
24 apart. The ore zone under production is treated as an area
25 and leachate migration is monitored by area wide tests and

1 ground water monitoring system around the production area.

2 In several years of operation, thousands and thousands
3 of wells which have been drilled over only 800 to 1,000 acres,
4 incidentally, these wells would have all been constructed,
5 cemented, completed and testes identically. After uranium has
6 been recovered, the well is plugged and the aquifer restored
7 to pre-production levels as required by current state permit
8 regulations.

9 Complying with the UIC regulations in their present
10 form would be redundant and create a costly and meaningless
11 paper work suffle for the operator and the regulating agency.
12 For examples, 146(c), Section (146.06, 146.08, 146.31, 146.32,
13 146.34, 146.35 and 122(a), Section 122.37 employ direct and
14 indirect use of the well by well philosophy. Items such as
15 submittal of plans for testing, drilling, and construction for
16 each well is equivalent to permitting each well. Also, the
17 requirement that we report every well as specified in the area
18 permit definition, is a tremendous burden. Given that formation
19 characteristics and construction techniques are identical for
20 each insitu uranium production well.

21 The main requirement of the area permit should focus
22 on prevention and detection of leachate migration by area wide
23 integrity test in a sufficient ground water monitoring system.
24 Thank you.

25 MR. LEVIN: Thank you, sir. Are there any questions?

1 I have one. You indicated that you have ground water monitor
2 system, there was previous objection to what we have in our
3 regulations, that is the 5 monitoring wells. Can you descri
4 your system as to the number of well, what it looks like, et

5 MR. DULER: At present we have permitted about 30
6 acres, a little bit more than that, we have a total of about
7 19 production zone monitoring wells encircling our area whic
8 monitors the horizontal migration leachate. We also have a
9 7 upper aquifer monitoring wells which would monitor the
10 vertical movement of leachate into our upper aquifer.

11 MR. LEVIN: Thank you. Any other questions? Than
12 you very much.

13 Mr. Anderson?

14 JIM ANDERSON: My name is Jim Anderson, I'm with t
15 Olen Corporation, Regional Manager, Environmental Affairs,
16 I have the responsibility for Olen's 5 chemical plants that
17 in Region VI.

18 My comments will be very brief since I am last.
19 also will address the Class III area, and I would like to
20 describe an operation we have in Louisiana that points up
21 of the deficiencies in the regulations as they are now pro

22 This is a sodium chloride solution mining operati
23 in which fresh potable water is injected into the salt dom
24 and leaches out the cavity, the brine is forced out by th
25 injection pressure so the integrity is essential to an eff

1 operation, and the brine is piped to a chemical plant which
2 uses it.

3 After awhile, the cavity gets larger and larger as the
4 well is used, and soon it becomes an attractive hydrocarbon
5 storage area. As a matter of fact, the government took all of
6 them away that we had down there and created a strategic reserve.
7 But the point of it is, is that it was a Class III well until
8 it was turned over to hydrocarbon storage, and now it becomes
9 a Class II well. To repeat, we put fresh potable water down in
10 there and dissolve the salt and force the brine out. When it
11 becomes a hydrocarbon well, they either pump down into the
12 well to displace oil or they pump oil down into the well to
13 displace brine.

14 In the regulations by transitting from a solution
15 mining well to a hydrocarbon storage well, there are 8 specific
16 areas in which the regulations are less stringent for the hydro-
17 carbon storage than they were for the initial solution mining.
18 Including among that less stringent is the very expensive drill-
19 ing of 5 monitoring wells into a salt water strata which could
20 not possibly do anything but detect migration of fluid even
21 before you started operations.

22 I think the point of this story is, the drastic need
23 for more flexibility in the regulations, and also, the need to
24 allow the conduct of the program by knowledgeable people in the
25 local area such as the state. This concludes by comment and the

1 company will include these among those specific comments in
2 letter to EPA by the deadline.

3 MR. LEVIN: Thank you, Mr. Anderson. Are there an
4 questions by members of the panel? Ok, thank you.

5 Babette Higgins, has she come in? Mr. James Greco
6 has he come in? Is there anybody else in the audience who
7 wishes to make a statement?

8 If not, just a few words, when I adjourn this hear
9 there is some time left, and I promised you this morning,
10 though I have not received any 3 x 5 cards we will be happ
11 to answer any factual questions about the regulations for
12 members of the audience who have not testified today, for
13 approximately one-half hour or so.

14 Secondly, a word about tomorrow hearings. The da
15 version will be on Parts 122, 123, and 124. We will begin
16 promptly at 9 o'clock, for those of you who will be happy
17 this, you will have a new Chairman tomorrow.

18 I would like to thank all of you for the attentio
19 you've given us this afternoon and this morning on behalf
20 the panel. This hearing now stands adjourned.

21

22 (Whereupon, at 3:50 p.m. the hearing was adjourn

23

24

25

C E R T I F I C A T E

This is to certify that the attached proceedings before the U. S. Environmental Protection Agency were had as therein appears; and that this is the transcript thereof for the files of the Agency.

Betty Morgan
Betty Morgan, Reporter